

UNIVERSITY OF CALIFORNIA  
BIOLOGICAL AND AGRICULTURAL ENGINEERING  
CALIFORNIA BIOMASS COLLABORATIVE

FOURTH ANNUAL FORUM

VOLUME II

CALIFORNIA EPA BUILDING  
BYRON SHER AUDITORIUM  
1001 I STREET  
SACRAMENTO, CALIFORNIA

WEDNESDAY, MARCH 28, 2007

8:40 a.m.

Reported by:  
Peter Petty

PETERS SHORTHAND REPORTING CORPORATION (916) 362-2345

APPEARANCES

Bryan Jenkins  
California Biomass Collaborative

Martha Gildart  
California Biomass Collaborative

Margo Brown, Chairperson  
California Integrated Waste Management Board

Fernando Berton

Luis Diaz  
Cal Recovery

Kit Strange  
Resource Recovery Forum, United Kingdom

Chuck White  
Waste Management, Inc.

Rob Williams  
California Biomass Collaborative

Necy Sumait  
BlueFire Ethanol

Bin Yang  
University of California Riverside

Peter Knecht  
Kompogas, Switzerland

Patrick Sullivan  
SCS Engineers

Howard Levenson  
California Integrated Waste Management Board

Krishna Nand  
City of Vernon

Don Augenstein  
I.E.M., Inc.

James Caldwell  
E3 Regenesiis Solutions

APPEARANCES

Eric Larson  
Princeton University

Zack Subin  
University of California Berkeley

Dick Maclay  
Advanced Energy Strategies

Donald Taylor  
Taylor Engineering

Michael Theroux  
Theroux Environmental

Ruth Macdougall  
Sacramento Municipal Utility District

Tim Judge  
Masada Resource Group

Michael Hart  
Sierra Energy

## I N D E X

	Page
Proceedings	1
Opening Remarks and Welcome	1
Bryan Jenkins, CBC	1
Keynote Speaker	9
Margo Brown, Chairperson California Integrated Waste Management Board	9
Sessions	12
V. Policies Affecting Use of Biomass in Municipal Waste	
Moderator: Fernando Berton	13
Overview of Waste Management Techniques for Fuels and Power in the U.S. and Europe	
Luis Diaz, Cal Recovery	15
Bioenergy and Landfill Policies in Europe and the U.K.: Lessons Learned and Prospects for Future Development	
Kit Strange, Resource Recovery Forum, UK	34
Feedstock Quality, Separation and Markets	
Chuck White, Waste Management, Inc.	51
VI. Biofuel Production from Municipal Wastes	
Moderator: Rob Williams	74
Ethanol from MSW	
Necy Sumait, BlueFire Ethanol	75
Enzymatic Hydrolysis of Cellulose for Ethanol	
Bin Yang, UC Riverside	92
Advanced Biogas Production and Upgrading in Europe	
Peter Knecht, Kompogas, Switzerland	105

## I N D E X

	Page
Renewable CNG, LNG and Other Fuels from Landfill Gas - Prospects for Future Development Patrick Sullivan, SCS Engineers	123
General Comments/Questions	137
Afternoon Session	137
Breakout Sessions	156
Background and Purpose	156
Howard Levenson, IWMB	156
Adjourn into Sessions	172
Breakout Sessions Summaries	173
Ruth Macdougall, SMUD	176
Tim Judge, Masada Resource Group	180
Michael Hart, Sierra Energy	185
Summary, Howard Levenson, IWMB	192
General Discussion	196
Wrap-Up	198
Bryan Jenkins, CBC	198
Adjournment	205
Reporter's Certificate	206

## 1 P R O C E E D I N G S

2 8:40 a.m.

3 DR. JENKINS: We'll get started here.

4 Thanks for coming again, and welcome on this  
5 bright winter day at the beginning of spring here.  
6 It's a little cool out there, so I hope you've  
7 brought your jackets.

8 Yesterday at the forum we dealt with the  
9 issues, many issues in policies in advanced  
10 technologies for bioenergy development from  
11 biomass. And today we're going to focus on issues  
12 surrounding biofuels and chemicals production from  
13 solid waste. So we're going to focus this in a  
14 little bit.

15 The forum today is sponsored primarily  
16 by the California Integrated Waste Management  
17 Board. And I do want to thank them for the  
18 sponsorship of this forum. This forum does have  
19 specific purpose in helping the Board formulate  
20 research and commercialization plans. And we're  
21 going to deal with that over the coming day to try  
22 to get your input directly into that process, and  
23 to help create some good ideas for how we're going  
24 to move forward in a sustainable way in the  
25 future.

1           I hope after our great reception last  
2 night that you all went home and did your homework  
3 assignment, which was to read the background  
4 paper. And I hope you were able to either  
5 download that from the web or to pick it up  
6 yesterday from the back table. There is a  
7 background paper, so if you've not seen this I  
8 think we have additional copies here, perhaps on  
9 the back table there.

10           So there is a background paper that  
11 discusses some of the issues associated with  
12 energy from solid waste. And some of the resource  
13 potentials. So I hope you were able to do that.  
14 And many thanks to Rob Williams, staff with the  
15 Collaborative and a development engineer at the  
16 University of California Davis, for organizing and  
17 putting that paper together for us today. With a  
18 lot of support and a lot of research that he's  
19 done and a lot of assistance from a number of  
20 other people. But Rob is really the driving force  
21 behind organizing that paper, and several of the  
22 other reports.

23           Also many thanks to Martha Gildart and  
24 Rob for helping to organize all of this activity.  
25 Also with support from Howard Levenson, Fernando

1 Berton and Alan Glabe of the Integrated Waste  
2 Management Board for their assistance and funding  
3 support so that we can sit here today and do what  
4 we're doing right now. And then this afternoon a  
5 little more active input from you for this  
6 planning process. So thanks very much for all  
7 that, and thanks for coming.

8 The look at solid waste in California  
9 today, we are still disposing something over 40  
10 million tons of waste into landfills. The  
11 question is, is that the best thing to do with  
12 this material. And I think there's been an  
13 increasing concern and increasing attention to  
14 resource value of this material and we might be  
15 perhaps doing some better things.

16 And we will hear over the course of this  
17 morning both some discussion on policies, as well  
18 as technologies for biofuels, bioenergy production  
19 from these materials. So we will address, in both  
20 the presentations this morning and in the breakout  
21 sessions this afternoon, really how we should plan  
22 for the future use of this resource. And whether  
23 we should continue what we're doing today with  
24 these.

25 We just look at the resource content

1 here, this landfill stream. And we have a total  
2 of some 46 million tons, if you include the  
3 inorganic component, but paper and cardboard going  
4 into landfill now is close to 9 million tons.  
5 Food waste 6 million tons; construction demolition  
6 lumber 4 million tons; other organics close to 2  
7 million tons; leaves and grass 2 million tons;  
8 prunings, branches and stumps and other green  
9 waste about a million tons there. And alternative  
10 daily cover, which actually is considered a part  
11 of diversion, but winds up in the landfill anyway,  
12 about 3 million tons.

13 And if you add all this biomass up we've  
14 got about 27 million tons of biomass that wind up  
15 in the landfill. And then beyond that we have  
16 plastics and textiles in the amount of about 6  
17 million tons. And there's a resource value there.

18 And the, of course, we have a number of  
19 metals and glass and other inorganics that go into  
20 the landfill, as well, to make up this total,  
21 which is well over 40 million tons.

22 The dry matter content of the biomass is  
23 18 million tons, and that's a substantial amount  
24 of energy value; constitutes something close to 47  
25 million barrels of oil equivalent. And so a

1 substantial heating value, a substantial energy  
2 content in this material. This is going into the  
3 landfill.

4 We are, of course, extracting energy  
5 from landfills in the form of landfill gas. We'll  
6 hear some discussion about advanced techniques for  
7 landfill gas applications and utilization today  
8 during the morning sessions. But there are other  
9 things that we can do with this resource.

10 And, of course, we have also resource  
11 simply being stored in landfills. We now have  
12 more than a billion tons of solid waste in  
13 existing landfills, which could serve as a source  
14 of resource were we to mine that material if we  
15 wish to do that.

16 Of course, there are also -- there's  
17 lots of carbon being sequestered in landfills.  
18 And we have also that issue to deal with.

19 So, when we look at the full lifecycle  
20 associated with our practices and the production  
21 of waste, then we need to consider all of these.  
22 And so in our planning for the future in looking  
23 at research that's needed to advance technologies,  
24 to improve the sustainability of the system, and  
25 how we're going to commercialize those

1 technologies, we do need to consider these full  
2 effects.

3 With that I'm going to just briefly  
4 review for you the itinerary for today, the  
5 agenda. And we have one change on the schedule.  
6 Don Stevens, who was scheduled to talk during the  
7 second session of the morning, unfortunately has a  
8 family matter, urgent family matter to deal with,  
9 and will not be here.

10 So what we're going to do is to allow  
11 some discussion at the end of the second session  
12 for actually both presentation sessions. So if  
13 you have some questions as the speakers go through  
14 their materials, reserve those and we'll do some  
15 discussion before we break for lunch. And the, of  
16 course, you can come back to those during the  
17 afternoon breakout sessions.

18 So the first session this morning we'll  
19 discuss policies affecting the use of biomass in  
20 municipal wastes. The second session in the  
21 morning after the break will address biofuel  
22 production from municipal wastes.

23 We'll go to lunch and we'll come back;  
24 hear from Howard Levenson about the structure of  
25 the breakout sessions and the intent of the Board

1 in soliciting your input for the research and  
2 commercialization planning.

3 And those breakout sessions, there are  
4 three concurrent sessions in two groups. So we  
5 will first look at pathways to commercialization.  
6 And the breakout sessions have been organized  
7 around products. You can discuss other things as  
8 you feel appropriate, of course. Those product  
9 sessions, the first session is alcohol fuels; the  
10 second is on biogasoline and renewable diesel  
11 fuels; and the third one is on biogas. So you can  
12 divide appropriately, and Martha will give you  
13 some more instruction on this; and then Howard  
14 will give you some more detail about, again, the  
15 intent of the Board on this.

16 The second set of breakout sessions,  
17 after the break in the afternoon, will be, again,  
18 on alcohol, biogasolines and renewable diesels and  
19 biogas, but in this case looking at specific  
20 research needs that we need to move forward in the  
21 future.

22 And we'll come back at the end of the  
23 afternoon; summarize the results from the breakout  
24 sessions. We're looking for some very good input  
25 from you to help us see how we're going to go

1 forward and realize the objectives associated with  
2 the sustainable use of this resource.

3 So, that's the structure for today. And  
4 to get us started on all of this it's my pleasure  
5 to be able to introduce to you the Chair of the  
6 Integrated Waste Management Board, and this is  
7 Margo Reid Brown.

8 And Margo was appointed to the Board by  
9 the Governor on January 11, 2006, so she's been  
10 Chair of the Board since February of 2006, a  
11 little over a year.

12 And prior to joining the Board she was  
13 Director of Scheduling for the Governor. And  
14 she's also the Founder and President of Capital  
15 Ideas Development Corporation, which is a  
16 community relations and fund development  
17 consulting firm.

18 She also served as President of the  
19 Junior League of Sacramento from 1999 to 2000.  
20 And a lot of involvement in the community. Served  
21 as a Board Member on Prevent Child Abuse  
22 California. Also in the Sacramento Capital Club  
23 and the Putting Our Children First, a neighborhood  
24 alliance.

25 She first started out in working with

1 Senator Pete Wilson, and then continued with the  
2 Governor from 1991 to 1999.

3 And so with that, Margo, if you would,  
4 please. And tell us what we're to do here today.

5 (Applause.)

6 CHAIRPERSON BROWN: Thank you, Bryan,  
7 very much. And I have to say thank you to  
8 Fernando and Martha and Howard, who we've been  
9 working with on getting this prepared.

10 And my background really doesn't say a  
11 whole lot about what I've been doing in the last  
12 year, but as you can imagine, coming over to the  
13 Integrated Waste Management Board was a departure  
14 from my previous history.

15 And it's been a great learning  
16 experience over this year just to get up to speed  
17 on what the Board's priorities are and the great  
18 task before us here in California. Especially  
19 with Governor Schwarzenegger being announced as  
20 one of the greenest governors, or the greenest  
21 governor in the United States.

22 And his leadership in the passage of AB-  
23 32 and the launch of the Bioenergy Interagency  
24 Working Group has really guided this Board to  
25 where we are setting our policy direction for the

1 future of landfills, landfill preservation,  
2 exploring alternative energy and fuel productions  
3 here in California.

4 I'm not going to take a whole lot of  
5 time with you this morning because, as all of you  
6 are, I'm anxious to hear the sessions that we have  
7 set up for the rest of the morning; and hope to  
8 participate in some of the breakout sessions this  
9 afternoon.

10 But let me tell you that Bryan hit on  
11 many of the issues, and core issues, that this  
12 Board is dealing with as we look to the next  
13 forefront of what is happening in solid waste.  
14 And we do have aggressive targets that have been  
15 set forth by the Governor to achieve three  
16 specific strategies for the Global Warming  
17 Solutions Act.

18 The first one is high recycling and 50  
19 percent waste diversion from landfills. And I'm  
20 proud to announce that California did achieve that  
21 last year. In fact, we have a 52 percent waste  
22 diversion rate from our landfills, saving the  
23 costly resource extraction production materials by  
24 re-using, promoting recycling and diversion from  
25 the landfill.

1           But as Bryan mentioned, we still have 42  
2 million tons of waste going to our landfills here  
3 in California. And there's a great potential  
4 there for what to do with those 42 million tons.

5           This Board has actively participated in  
6 the Bioenergy Interagency Working Group looking  
7 specifically at that biomass component of the  
8 waste stream which has a huge potential. And  
9 according to the Board's most recent waste  
10 characterization we have nearly 30 percent of the  
11 waste stream that is highly recyclable and biomass  
12 potential for both energy production and  
13 alternative fuels.

14           A speech here I'm not going to give.  
15 I'm just going to tell you that we are extremely  
16 pleased to have such a distinguished audience and  
17 group of speakers here with us this morning. Look  
18 forward to the success and information that we can  
19 gather; and appreciate all of your participation  
20 here.

21           Great potential; great opportunity. We  
22 certainly have a Governor who stands behind  
23 science and looks to the industry to advance  
24 bioenergy, alternative fuels, as well as, I think  
25 most of you probably have had your eye on what the

1 ARB is doing with the low carbon fuel standard.

2 So, really the pathway to  
3 commercialization for some of these technologies  
4 in California is what is of most interest to us.  
5 And we look forward to having you here, having a  
6 robust discussion and the future of what lies  
7 ahead here in California.

8 So, anyway, with that I'm going to turn  
9 the microphone back to Bryan a couple minutes  
10 early. Thank you all very much for being here;  
11 and look forward to individual discussions and the  
12 breakout sessions as we move forward. Thank you.

13 (Applause.)

14 DR. JENKINS: Thanks very much for those  
15 words, Margo. So, actually I'm going now to turn  
16 the microphone over to Martha Gildart, who's going  
17 to introduce our moderator for the first panel.  
18 Thanks, Martha. You should be used to this by  
19 now.

20 MS. GILDART: He works by surprise. The  
21 first session is going to be moderated by Fernando  
22 Berton who worked at the Waste Board sort of off  
23 and on now for several years. He had been at the  
24 Board for about ten years before he branched out  
25 on his own in a consulting firm. And then decided

1 it was a little too erratic in the payment scheme  
2 of things, and came back to the Board.

3 And for the last seven years he has been  
4 with their advanced technologies biomass  
5 conversion group; pretty much the only such staff  
6 person at the Board. And he's going to be  
7 moderating this next panel. Fernando.

8 MR. BERTON: Good morning. And my role  
9 is to introduce everyone else. Actually I'm  
10 supposed to moderate a panel, and so what I would  
11 like is my panel members here next to my left.  
12 So, is Kit Strange in the audience somewhere?

13 MR. STRANGE: Yes.

14 (Pause.)

15 MR. BERTON: Well, again, good morning.  
16 And just real briefly, we do have a very good  
17 lineup of speakers this morning. Bryan talked  
18 about it a bit.

19 And one thing I would like for all you  
20 to do is the information that you hear today, this  
21 morning, use that information for fodder for the  
22 breakout sessions in the afternoon. It's very  
23 important to us. And not just the information  
24 that you hear from the speakers, but, as Bryan had  
25 mentioned, the background paper. It's a very good

1 background paper that Rob put together. So all of  
2 that information put together is very important  
3 for us for the breakout sessions in the afternoon.

4 So, without any further ado, I'd like to  
5 introduce our first speaker, Luis Diaz, who is the  
6 President of Cal Recovery, Incorporated. Dr. Diaz  
7 has been involved in the field of waste management  
8 and nonconventional sources of energy for more  
9 than 30 years.

10 He has conducted waste management  
11 studies, technical and economic assessments of  
12 solid waste systems, environmental analyses of  
13 resource recovery systems, and marketing studies.  
14 Has participated in a large variety of projects  
15 including refuse processing for material and  
16 energy recovery.

17 He has experience in waste processing  
18 technologies including recycling, composting, co-  
19 composting, incineration, mechanical composting,  
20 anaerobic digestion and many other things that  
21 have multisyllables to it.

22 He has earned an international  
23 reputation as an expert in composting anaerobic  
24 digestion. And has prepared a number of  
25 feasibility studies and master plans in the U.S.

1 and in other countries.

2 In addition, Dr. Diaz has substantial  
3 experience assisting clients in strategic planning  
4 of their solid waste systems and procurement of  
5 processing capacity and services.

6 Dr. Diaz has more than 400 publications  
7 and has co-authored 17 books in the field of waste  
8 management and energy. He has also conducted  
9 training courses throughout the world, and is a  
10 visiting professor in universities in Europe,  
11 North America and Latin America.

12 He is also Editor-in-Chief of Waste  
13 Management, an international, peer-reviewed  
14 journal published by Elsevier Science. He's a  
15 member of the editorial board of several journals.  
16 He's the chair of a task force -- and he's telling  
17 me to stop, so he can start his presentation.

18 (Laughter.)

19 MR. BERTON: As you can see, he knows  
20 his stuff. So, Dr. Diaz.

21 DR. DIAZ: Thank you, thank you for  
22 that --

23 (Applause.)

24 DR. DIAZ: Now I'm thoroughly  
25 embarrassed. I didn't know that that was sent.

1 That's not the point. The point is that I've made  
2 a lot of mistakes in my life. I've been working  
3 with solid waste for 30-some-odd years. I've been  
4 burned; I've been dirty, cut, you name it. So,  
5 that's the kind of experience that I'd like to  
6 share with you.

7 Now, you're probably asking why is this  
8 guy with a Latin name going to talk about Europe.  
9 That's because we work there a lot. I've had a  
10 chance, I've been fortunate to work in Austria,  
11 Germany, Italy, England, Spain. So, I made more  
12 mistakes there, as well.

13 Very quickly, I have a lot of  
14 information because this is a very broad topic.  
15 And I'm going to try to do it as quickly as I can.  
16 I want to thank the organizers of the conference,  
17 especially the Waste Board, for inviting me here.  
18 It's a pleasure to be with all of you. And I see  
19 a lot of very old friends of mine around in the  
20 audience, garbage people --

21 (Laughter.)

22 DR. DIAZ: -- from back in the '70s. I  
23 was five years old when I started.

24 (Laughter.)

25 DR. DIAZ: I'm going to cover very

1 quickly introduction, the general types of  
2 technologies, an overview of what's going on in  
3 Europe and in the U.S. And then some concluding  
4 remarks.

5 One of the benefits of being an editor-  
6 in-chief is that I get to see a lot of papers,  
7 read a lot of -- two a day, we get manuscripts two  
8 a day. And as you may know, in the European  
9 Union, trying to harmonize the educational system,  
10 before you get your PhD you've got to have a  
11 published paper based on your dissertation. And  
12 it has to be published in a peer-reviewed journal.  
13 So there are a lot of very nervous kids waiting to  
14 get that paper published. So I learn a lot in  
15 reading the latest research.

16 The management of waste in general has  
17 undergone a lot of changes in the past 50 years.  
18 And now we're looking at biomass as a source of  
19 energy and fuel. So I was asked to talk about  
20 these two concepts.

21 I'm going to concentrate on energy  
22 production primarily. We spoke about biofuels  
23 yesterday ad nauseam, so let's just concentrate on  
24 energy recovery.

25 This is a very very broad subject.

1 Europe, U.S. But I'm going to try to just give  
2 you a glimpse, touch a few subjects and I'll talk  
3 about some issues that I would like to just gloss  
4 over.

5 And there's someone else also talking  
6 about anaerobic digestion, so I'm going to  
7 complement the information.

8 Just to give you a refresher course in  
9 case some of you have not covered these items  
10 before. There are three general types of  
11 technologies, thermal, physical-chemical and  
12 biological.

13 Now, in thermal processes I would like  
14 to emphasize these because there seems to be a  
15 misunderstanding that incineration, gasification  
16 and pyrolysis are the same. Or at least trying to  
17 classify them as such. In theory they are  
18 different. They are different processes. They  
19 can be carried out in different reactors. So I'm  
20 going to separate them.

21 And then there's also plasma that's  
22 emerging as another potential solution to waste  
23 management. Mind you, all of these technologies,  
24 I'm not trying to support any one of them in  
25 particular. I'm just trying to give you an

1 overview.

2           The process of combustion, itself, we  
3 can subdivide it into stoichiometric, which means  
4 that you have the exact or close to the exact  
5 amount of oxygen that you need to carry out the  
6 combustion process, or excess air. You can also  
7 divide it by the degree of treatment, as mass  
8 fired. And there's also fluidized bed.

9           Gasification -- and then I'll show you  
10 some examples. I just want to get everybody on  
11 about the same level.

12           Gasification is a process where you  
13 don't have enough air to have a complete  
14 combustion process. So what you produce is a  
15 fuel, gaseous fuel. And I'll show you how. But  
16 it's also vertical fixed bed, horizontal fixed bed  
17 and fluidized bed gasification.

18           In terms of physical chemical processes,  
19 there's several unit processes that we've used.  
20 Size reduction, classification, screening, flat  
21 bed. We've produced refuse-derived fuel. In New  
22 York they call it solid refuse fuel, SRF. Same  
23 thing. Densified RDF, using densification.  
24 Liquid fuels, and it's also acid hydrolysis that  
25 can be used to produce alcohols.

1                   Nonbiological processes, anaerobic  
2                   digestion. That process takes place in landfills.  
3                   The normal conditions would produce landfill gas.  
4                   Someone else will be talking about that later on  
5                   so I'm going to skip it.

6                   You can also talk about anaerobic  
7                   digestion connected in reactors. Now, there are  
8                   two general types that are being used, have been  
9                   demonstrated, used in Europe, as well. Wet  
10                  digestion, and it's classified between 5 and 10  
11                  percent dry matter in this reactor. And the dry,  
12                  in quotes, dry digestion when it's more than 30  
13                  percent dry matter. I'll show you some examples  
14                  of these systems.

15                  There's also enzymatic hydrolysis. We  
16                  talked about that yesterday quite a bit. And  
17                  biological production of hydrogen.

18                  Now, going to the regional part, the EU.  
19                  In 2004 it was EU-15; now we have more than that,  
20                  25, I think, EU0-25. But at that time producing  
21                  about 200 million tons of municipal solid waste.  
22                  And I'll only touch this very briefly, Kit.

23                  The one very important, I think, in my  
24                  mind, very important piece of legislation that was  
25                  passed there was the landfill directive. Very

1 very critical. That has really pushed a lot of  
2 changes in the EU.

3           And this is one of them. It's a very  
4 brief summary. Essentially what it does is  
5 reduces -- requires a reduction in the amount of  
6 organic matter that is placed in the landfill.  
7 And in '06 75 percent; then 50; and eventually 35.  
8 There's some exceptions, but that's the general  
9 concept. Less and less organic matter into the  
10 landfill.

11           Now, there's some countries that have  
12 gone even further, and essentially they're banning  
13 because it's like 5 percent volatile solids, only  
14 5 percent volatile solids going into the landfill.  
15 So, it's basically inert matter that can only be  
16 put in the landfill.

17           So, in my mind that's one of the drivers  
18 of all of the evolution of waste management going  
19 on in the EU.

20           They also have a EU framework directive;  
21 it's a hierarchy of processes. This establishment  
22 sustainable waste management; so it's really nice.  
23 Defines the waste types.

24           Now, in 2002 you can see the gradation,  
25 and I've tried to make it colorful. I don't know

1 if you can see it. The red represents combustion.  
2 This is what some countries were using as their  
3 method of treatment and disposal.

4 And it goes from the left, it's Denmark  
5 on your left-hand side. You can see it is and was  
6 rely on incineration. And on the far right we  
7 have countries like Greece, Portugal and  
8 unfortunately at that time the United Kingdom was  
9 also relying on landfill disposal. So that's the  
10 gray areas on the bars. That was in 2002. And is  
11 still, the U.K. is still relying on a substantial  
12 amount of landfill disposal.

13 Now, in '04 -- and I've tried to use  
14 data that are kind of reliable, the most recent  
15 data I don't feel comfortable giving it to you,  
16 but this one is. So I combined here, the colors  
17 should not be like that, but that's the way it  
18 turned out.

19 Landfilling 44 percent EU-wide; thermal  
20 treatment 24; and the rest is some form of  
21 recycling. So recycling is increasing.

22 Waste-to-energy. That's a very -- I  
23 really like the architecture of that incinerator  
24 in Vienna. It is just something really nice to  
25 look at. That is an incinerator operating. It's

1 wonderful. Costly.

2 Fifty million tons of MSW were treated  
3 in 420 plants and produced 20 million megawatt  
4 hours of electricity. And the other thing that we  
5 don't understand here very well is that in Europe  
6 you have district heating, so that allows you to  
7 use a lot of the heat; 50 million megawatt hours  
8 of heat are being used with those 50 million tons.

9 And then at the same time in '05 there  
10 were 13 countries that were using a lot of --  
11 producing a lot of RDF SRF, as they call it,  
12 almost 13 million tons.

13 There's some issues about the  
14 marketability of the RDF, but I don't have time to  
15 cover all of that. If you have any questions, or  
16 you know about that, I'm not trying to skirt the  
17 issue. We can talk about it later.

18 Now, modern incineration. Controlled  
19 feeding, that's really important. Optimize  
20 combustion, value in reduction and inertization.

21 Then energy recovery. We talked about  
22 that. It's power recovery, generation of power,  
23 plus heat, CHP.

24 And then there's a lot of work being  
25 done on the segregation of pollutants from the

1 ash, the different types of ash. And I get,  
2 apparently get like ten different manuscripts per  
3 week on some type of ash processing.

4 To use the ash, some countries that are  
5 using the bottom ash and also the recovered metals  
6 from the fly ash.

7 Lots of waste-to-energy facilities  
8 throughout the EU. You can see there that for  
9 instance Germany has 61 plants in '04 processing  
10 about 14 million tons per annum. So, lots of  
11 plants all over the EU. And I included most of  
12 the new countries that have been admitted.

13 Important things to remember. The way  
14 that the ash -- one of the concerns here in the  
15 United States is what happens to the ash. And  
16 this is a way that it's being managed there.  
17 Fusion, stabilization, filler in asphalt in the  
18 Netherlands is fairly common. Some countries are  
19 storing it for future use, in quotes, just like we  
20 do with some of our nuclear waste.

21 (Laughter.)

22 DR. DIAZ: Solid residues. This is a  
23 mass balance, an average mass balance for a  
24 typical modern waste-to-energy facility. You have  
25 1000 kilograms of waste going in; produce about

1 200 kg of bottom ash. That's used, and quite a  
2 bit of research is being done on the impact of  
3 using the ash on roads and so on. And then 15 kg  
4 of fly ash and 12 kg of salts.

5 In the U.S. same thing. A lot of laws  
6 that we have passed. In '03 we produced about 240  
7 million tons per year of MSW. And we spent say on  
8 the order of \$40 billion to manage those wastes  
9 countrywide.

10 How are we managing the waste?  
11 According to the EPA is like that. Land disposal  
12 about 55 percent; combustion 14; and the rest is  
13 recycled. This is average countrywide.

14 We have 89 waste-to-energy facilities  
15 now. This is fairly new information. Processing  
16 the capacity is about 31 million tons per year.

17 How this number has changed since 1982.  
18 We had about 59 facilities and now we have 89. We  
19 peaked in 1993 with 136 facilities.

20 Now, what can we do to optimize thermal  
21 processes. We have to increase energy efficiency;  
22 reduce the flow of flue gas. Of course, minimize  
23 air pollution, dioxins, carbon monoxide, NOx.  
24 Corrosion is a problem. We have to reduce it.  
25 And then improve ash management.

1                   How we do on that. On a worldwide basis  
2 we have water-cooled grates; we have recirculation  
3 of flue gas; we are enriching the amount of air  
4 going into the combustion unit with oxygen; and  
5 we're also cladding boiler tubes.

6                   Gasification, very quickly. That's a  
7 very old process. You can see 240D there. I wish  
8 I had that one; that's really nice. All of  
9 these -- this process was used during the Second  
10 World War to fuel vehicles. So, we're not talking  
11 about something that's new. It's been around for  
12 a number of years, the process, itself.

13                   But what we have to keep in mind is that  
14 was for a very homogeneous fuel, in this case  
15 coal. When we introduce wastes or a mixture of  
16 wastes, say RDF, densified RDF, or biomass,  
17 mixtures of biomass, different types of trees,  
18 then the process gets a little bit complicated.

19                   I've given you some equations there for  
20 you scientists. It's nothing extraordinary,  
21 reducing carbon monoxide and hydrogen. The key  
22 here is to clean it up, clean up the gas so that  
23 you can use that gas in some form. In a  
24 combustion agent, to recover the hydrogen, or to  
25 make chemicals.

1                   And as I said, I make mistakes. We've  
2 had this thing running in the 1980s in our lab at  
3 the University of California at Berkeley. And you  
4 have a very sexy looking reactor there on the  
5 right. It's a 55-gallon, very inexpensive reactor  
6 on a scale.

7                   We fed the gas into an IC engine. We  
8 evaluated what happened to the pistons, the  
9 valves, all of that, the impact of not cleaning  
10 the gas properly. Corrosion.

11                   I also had the pleasure of working in  
12 the Philippines. The Philippines in the 1980s. I  
13 think I was talking to Val earlier yesterday.  
14 There was a nonconventional source of -- resource  
15 center. We were building these things in the  
16 1980s. Gasifying all kinds of biomass. And  
17 putting these units in their jitneys, in their  
18 vehicles. But very homogeneous biomass.

19                   And now when we're talking about  
20 municipal solid waste, I'll give you just one  
21 example. There's several; this is by no means an  
22 endorsement on the corporation. I've been trying  
23 to get to this facility in Tokyo. I know that  
24 Fernando will be going there, so I'm looking --  
25 may be going there, so I'm looking forward to

1 getting some data.

2 They have installed these plants.

3 Allegedly they're working, and they have been  
4 working for quite awhile. The one in Tokyo-Chiba  
5 processing about 100,000 tons per annum.

6 Now, one possibility, and I think it's  
7 very viable, one of my colleagues in Germany, Bern  
8 Bilitewski, suggest to use gasification as a free  
9 process and feed the gas into combustion chamber,  
10 as well as with coal, to use syngas.

11 Pyrolysis. Endothermic reaction, which  
12 means that you have to add heat to this reactor,  
13 you add heat. Heat it to different temperatures,  
14 different pressures. You form a gas, a liquid and  
15 char from the organic matter. This is basically  
16 what happens in the reaction. And you can play  
17 with the temperature and the pressure to adjust  
18 the amount of gas, liquid and/or char.

19 Issues that come, as I talked to you  
20 earlier, that the liquid may be corrosive,  
21 depending upon what kind of biomass you're  
22 processing. If you've tried to burn eucalyptus  
23 here in California, for instance, in your  
24 fireplace you know what can happen to your flue.  
25 So these are the analogies of what can happen to

1 the gas when you're gasifying that.

2           Quickly, an application. I snuck this  
3 one; it's from my colleagues in Japan. Pyrolysis  
4 and gasification is being widely used in Japan for  
5 the treatment of the ash from incineration, for  
6 melting it. And the slag is processed and made  
7 into these pellets that you see on the right-hand  
8 side. They have about 150 melting facilities  
9 throughout the country. And they're heavily  
10 subsidized by the government.

11           FT, we talked about this process. It's  
12 also been around for a long time, since the early  
13 1920s, to produce synthetic fuels. So the  
14 process, itself, is nothing new. It's how you  
15 apply it, what kind of gas you're going to put  
16 into it. The key is to have a gas that would be  
17 clean enough so that the process can be carried  
18 out.

19           But FT -- plasma, how am I doing -- I'm  
20 going to go over, I'm sorry, but I would like to  
21 go to biogasification, because that's really  
22 interesting. It can be applied to wastes here in  
23 California and in other parts of the country.

24           I talked about the two general types of  
25 anaerobic digestion, wet and dry. There's several

1 plants, many many plants in the EU. Five thousand  
2 onfarm digestion plants now in Germany and  
3 Austria.

4 Also, as I said, some countries require  
5 very low organic matter content be going to the  
6 landfills, so it's called mechanical biological  
7 treatment plants. And ask me about those later  
8 on.

9 Many AD plants throughout Europe. In  
10 '04 there were many of them treating many  
11 thousands of tons per year. We were doing this in  
12 Berkeley in the 1980s, food waste digestion.  
13 Again, nothing new. But there are some -- what's  
14 driving anaerobic digestion in Europe, it's the  
15 subsidies, financial subsidies given by some  
16 countries.

17 And this is one that I just visited last  
18 month in Germany. Dry fermentation. It's a very  
19 nice looking building. The reactors look like  
20 garages. Here's a schematic diagram; it's a batch  
21 process. Put it in with a front-end loader. You  
22 let it degrade; collect the gas; open it up; put  
23 in a new batch. They also have -- flow feeding,  
24 continuous dry fermentation. Many designs now of  
25 biogas facilities. I think there there'll be

1 somebody else talking about one particular type,  
2 but there are many. The shapes, different sizes.

3 In Germany they have more than -- almost  
4 3000 facilities. But what's driving that is the  
5 financial incentives. In Germany, this is an  
6 example, they get a compensation for producing  
7 electricity; compensation if you're using an  
8 energy crop. You get an additional bonus for  
9 extent of heat use. And then if you have a  
10 different technology you get even more. So there  
11 are bonuses on top of bonuses. A lot of  
12 incentives.

13 You can produce hydrogen biologically  
14 through enzymes. There are three that have been  
15 identified. A lot of work being done on  
16 fermentation to produce biohydrogen.

17 Enzymatic hydrolysis. We talked about  
18 that a lot yesterday, to make glucose, and then  
19 eventually make alcohol.

20 Just a couple more minutes, please, Mr.  
21 Chairman, because these are the critical things  
22 about all of this. Some of the issues that I see.

23 Operations and maintenance. We really  
24 don't know how much things are costing in some of  
25 these relatively new technologies, and we don't

1 get the proper amount of data, quality of data.

2 Not enough independent objective estimates.

3 When you work with waste everything  
4 clogs. Waste is very abrasive. You can see that  
5 valve there that was clogged when we were  
6 producing pulp. Everything clogs. Things get  
7 dirty; it's corrosive.

8 Reliability, availability. Very low.  
9 So we have to improve systems. We have to design  
10 better preprocessing systems, conversion  
11 technologies.

12 We talked about agricultural wastes  
13 yesterday quite a bit, but collection of these  
14 wastes is fairly expensive. These wastes are  
15 dispersed all over the countryside. So we have to  
16 consider that if we're going to be able to use  
17 them.

18 We need R&D to improve the efficiency of  
19 waste-to-energy facilities. And consequently  
20 reduce the cost of energy generation.

21 I emphasize and re-emphasize legislation  
22 and financial incentives are driving things in the  
23 EU. It's promoting anaerobic digestion, for sure,  
24 and in fact, some farmers are introducing maize  
25 into the digesters, mixed with -- corn mixed with

1 manures.

2 But we don't seem to have enough good  
3 reliable information to make sound judgments. So  
4 we need to do that, collect data, good data. Even  
5 on the quantity and composition of the wastes. We  
6 can produce hydrogen biologically, but right now  
7 it's at the lag scale.

8 And last, a little commercial for our  
9 Sardinia Conference coming up in October in Italy.  
10 Anyone that's interested, we attract about 1000  
11 people every two years. We cover a lot of topics  
12 over five days. This is like garbage camp, if  
13 you've gone to five days of nonstop garbage talk.

14 So, please, if you're interested, go and  
15 let me know. Thank you so much.

16 (Applause.)

17 MR. BERTON: Thank you, Luis, that's a  
18 lot of information and appreciate you sharing  
19 that. And, again, any information you got from  
20 that use it for the afternoon sessions.

21 Now I'd like to introduce Kit Strange.  
22 Since 1998 Kit Strange has been Director of the  
23 Resource Recovery Forum, a not-for-profit  
24 international association of more than 300 members  
25 worldwide. He also owns, publishes and edits a

1 journal on sustainable waste management, Warmer  
2 Bulletin.

3 Kit Strange is Secretary General to the  
4 European Association of Cities and Regions for  
5 Recycling and Sustainable Resource Management,  
6 based in Brussels, Belgium. He is retained as  
7 Head of Strategy by the Edinburgh -- and you can  
8 correct my pronunciation -- International  
9 Resources and Recycling Institute.

10 He's written the text for two books,  
11 "Future Perfect" and "The Mass Balance Movement,"  
12 both dealing with materials flow and mass balance  
13 studies in the U.K. environmental economy.

14 So, with that I'd like to introduce Kit  
15 Strange.

16 (Applause.)

17 MR. STRANGE: Thank you very much  
18 indeed. Good morning, ladies and gentlemen. I'll  
19 take another one at the end and then we can  
20 digitally measure how many of you are asleep at  
21 the beginning and the end. It's a helpful  
22 indicator.

23 (Laughter.)

24 MR. STRANGE: It's really nice to be  
25 here; thank you very much indeed, both to the

1 Integrated Waste Management Board and also UC  
2 Davis. It's very very kind of you to allow me to  
3 come over here again.

4 It's also the first time I have ever  
5 spoken in a facility where they provided an  
6 internet cafe. If it gets a little bit dull I can  
7 see we've got a couple of guys checking the  
8 weather and the emailers down here. So, that's  
9 good news.

10 The process, we do this, you know, we  
11 provide a written paper. And there's quite a long  
12 paper that has come that I sent with this, 8000 or  
13 10,000 words with lots and lots of information in.  
14 And after that, about a week later, you send in  
15 your PowerPoint slides. And then after that you  
16 start to think about what it is you really want to  
17 say. And then after that you turn up and you  
18 listen to the first day; and you then think how  
19 can you change what it was you'd planned. So  
20 everything I want to say is written in my paper.

21 But I do want to react to the way in  
22 which the first day took things forward, and other  
23 things. And actually, on the plane over I was  
24 reading last week's Economist magazine, which is  
25 here. And I'd quite like to just read a

1 paragraph, because it's very pertinent. It's an  
2 editorial piece in the Economist, and it's called,  
3 "What Price Carbon?" It's just a paragraph, but  
4 it's relevant.

5 It says: Governments can try to reduce  
6 emissions in three ways: subsidize alternatives;  
7 impose standards on products and processes; and  
8 price the greenhouse gases that cause the damage.  
9 The first is almost always about idea; the second  
10 should generally be avoided; the third is the way  
11 to go." And that's from the Economist, obviously.

12 Europeans do all three. America does  
13 the first and the second; it stays in federal  
14 levels. California has decided to do the third  
15 and it looks as though a federal system priced  
16 carbon will follow. Green energy is fat with  
17 subsidies. America's ethanol subsidy, which has  
18 led to a huge rise in production. Rocketing maize  
19 prices and rioting in Mexico is the sharpest  
20 example of why the government should not pick  
21 winners. Once the fertilizer and fuel used in  
22 corn production are taken into account ethanol may  
23 not be much greener than petrol, or gasoline."

24 So, I found that's an interesting way of  
25 setting up the opportunity that I'd like to take

1 to run through some slides and some views on the  
2 way in which we're handling things differently,  
3 and in some ways the same on the other side of the  
4 Atlantic.

5 So I've got some slides. They don't  
6 necessarily follow in the right order, because  
7 I've slightly changed the emphasis of what I want  
8 to say. But I set out a number of slides.

9 And what I want to cover are the drivers  
10 for change that we're seeing in place. And what  
11 are the best practices that we have to offer in  
12 Europe, both in terms of policy and practice. And  
13 also the role of energy recovery, as Luis has  
14 explained, is an important element. Not just in  
15 the old-fashioned paradigm of waste management,  
16 but also in the greater demands that we now have  
17 as a policy tool for sustainable development and  
18 for climate change.

19 And certainly energy recovery is now  
20 seen not simply as a way of dealing with waste,  
21 which is the way we certainly in many European  
22 countries; for decades we've approached that  
23 option. We're now using it much more heavily as a  
24 means of compliance with our landfill diversion  
25 obligations. It's the landfill directive that

1 Luis had mentioned.

2 It's a contributor to our compliance  
3 with the Kyoto targets. It is actually seen now  
4 as a means of cutting waste disposal costs;  
5 reducing the public sector costs for waste  
6 management, as well, involving the private sector,  
7 as it does very often. And also allows us to  
8 achieve higher other material recovery targets for  
9 a number of reasons.

10 The way in which policies go in Europe  
11 is quite clearly the last ten years have seen a  
12 fundamental change, and a very exciting one.  
13 Obviously policy tends to go first, and practice  
14 catches up afterwards. So we're still looking at  
15 exciting prospects for the future.

16 But very much the emphasis has been on  
17 assigning financial responsibility for waste  
18 streams, primarily to producers. That's been the  
19 biggest change, is trying to tack the costs of  
20 end-of-life management processes and activities on  
21 the sectors that produce those in the first place.

22 And this is basically taking a decision  
23 in society as to whether we -- it's all of us that  
24 pays for these things -- to whether we should be  
25 paying, as consumers, in proportion to the amount

1 we consume, or whether we pay as taxpayers through  
2 the sort of common public purse.

3 And the policy in Europe has also looked  
4 primarily at diverting organic material from  
5 landfill. It's not seen, I believe, essentially  
6 as a policy tool in the way that it appears to me  
7 to be in America, where there's as much an element  
8 of energy security. In fact, President Bush, I  
9 think, was on television last night applauding one  
10 of the renewable initiatives here, and claiming  
11 that really in the name of energy security, as the  
12 first objective. In Europe it's more seen to do  
13 with management of a resource.

14 And, of course, in Europe we want to --  
15 we say we want to look at waste prevention as one  
16 of the highest levels of the hierarchy. And,  
17 indeed, there is more evidence now that some of  
18 the countries that Luis has been working in,  
19 Austria and Germany and Switzerland, particularly,  
20 but some of the northern European countries where  
21 waste prevention is actually moving forward now,  
22 providing you can measure it, you can actually  
23 make a lot of progress.

24 So I ought to move into some of my  
25 slides. Seems a long way away. But these are for

1 illustrative purposes only.

2           The policy tools in Europe now have  
3 broadened to embrace the issues of sustainable  
4 development and climate change. But fundamentally  
5 we're still looking at consumption issues. And  
6 this is just a measure from the OECD last year  
7 looking at the amount of waste we produce as  
8 individuals. And that's measured there in  
9 kilograms per capita.

10           It's not particularly material to quite  
11 which ones are which, but certainly the three  
12 highest, Iceland, Ireland and the USA. So it's  
13 very difficult to draw broad assumptions as to why  
14 that might be. I would suggest it's largely to do  
15 with the definition of what's in municipal solid  
16 waste. And if you weigh things like vehicles in  
17 there, as well, then it obviously skews the  
18 figures.

19           There's a big study published a couple  
20 of years ago now by the European Environment  
21 Agency, looking at the factors for change in the  
22 next 30 years in Europe.

23           And we can see clearly population is set  
24 to continue to grow. The number of households  
25 will grow. This is very important, because not

1       only are we seeing a significant growth in the  
2       number of homes, but also a significant decrease  
3       in the size of those households. The average  
4       population of a house falling from about three in  
5       the 1990s to nearer, or less than 2.5 in 2030.

6               Of course, we know that the smaller the  
7       household the less efficient we are on resources.  
8       This was a study of three or four years ago, which  
9       shows the number of products per person we would  
10      buy in a year, 3400 if we live alone, 1400 if we  
11      live in a three-person household. And the same  
12      applies to the mass of products and the mass of  
13      packaging. And so these trends of population are  
14      not encouraging.

15             Gross domestic product, well for  
16      affluence, is also set -- this is across Europe --  
17      to increase substantially. And there's been  
18      little we can do historically to break the link  
19      between GDP and waste arisings. That's the  
20      biggest single battle that we have, is to decouple  
21      those two.

22             There's some evidence in some countries  
23      that that's been achieved. It's difficult to be  
24      certain at the moment, but Germany claims to have  
25      done it. And there's some evidence in parts of

1 Belgium that whole regions have broken this link.  
2 But normally if you see a waste arising's decline  
3 it's because the economy has suffered; more people  
4 are out of work.

5 Energy consumption in Europe also set to  
6 grow. This means inevitably the predictions are  
7 that a number of waste streams will grow  
8 substantially, some by more than 50 percent, over  
9 the next 20 years.

10 And we heard yesterday that the  
11 difficulty in conceiving of a 50 percent growth in  
12 energy consumption, well, you can't see the energy  
13 particularly, but you got a 50 percent growth in  
14 European solid waste arisings over the same  
15 period. And that's material that you can see, and  
16 it all tends to pile up and needs processing.

17 So I don't want to dwell too much on the  
18 behavior aspects, because that's not really what  
19 we're here for. But it is important, because it's  
20 what we consume and what we buy, and how we behave  
21 with the waste materials that dictate how much  
22 waste there is to deal with, and what's in it, and  
23 the cost of it.

24 And a study that we ran four or five  
25 years ago now concluded the factors at work here

1 are really population density and affluence. And  
2 I'll come on to those. There are some other  
3 factors, such as whether you have a garden and how  
4 big that garden is, that also play an important  
5 role.

6 But we took a look at the best  
7 performers across Europe, and what they were doing  
8 in the way of recovering and recycling and  
9 composting materials. And these are a number of  
10 towns, municipalities; and they indicate recycling  
11 rates of up to 55 or even 60 percent.

12 The top left is the Belgian region of  
13 Flanders, which is perhaps the best place to go in  
14 Europe if you want an example of how policy and  
15 practice have come together to give you really the  
16 ideal opportunity to make the most of the  
17 resources. They are the top performers, in my  
18 view. And if you want to visit anywhere, that's  
19 the place to go.

20 But clearly it's not just how much you  
21 recycle, it's how much waste you've got in the  
22 first place that's important. And these are the  
23 same towns, showing you the red dots, how much was  
24 recovered; but the blue diamonds, how much was  
25 there in the first place. Because the most

1 important element, of course, is what's left over  
2 at the end.

3 And this -- by the way, these are  
4 measured in kilograms per person per year, up the  
5 side; running from 25 at the bottom to 475 at the  
6 top. This shows actually how much residual waste  
7 there was in the bin after they'd finished playing  
8 about with it and getting back what they could.

9 The top left there is the English  
10 average, which we were leaving more than 450 kilos  
11 per person in our bin. It's a bit better now.

12 But the point is how to make the best of  
13 that. And, of course, recycling and composting  
14 were seen -- are seen as the ways in which to get  
15 the public going; produce effective products back  
16 into the market.

17 And we found that you can get upper  
18 limits, probably 60 percent or so, of recycling  
19 and composting in areas which are rural, 250  
20 people per square kilometer or less. And Europe,  
21 that's hard to do.

22 This graph simply shows you what an  
23 enormous contribution you get to recovery levels  
24 from the organics. Without the organics recovery,  
25 either for composting or for a fuel or for energy

1 or anaerobic digestion, we would be performing  
2 disastrously across Europe.

3 But it's really when you start looking  
4 at adding on the organic system -- this was a  
5 local authority in the U.K. in the late 1990s  
6 which started out 80, 100 kilos per inhabitant --  
7 or per household per year. And they added green  
8 waste collection for composting. And you can see  
9 over the subsequent years, the amazing development  
10 in terms of resource recovery. And that's  
11 important because that was previously going into  
12 landfill.

13 As the population density increases the  
14 recycling and the recovery rate potential goes  
15 down. And there's that familiar incinerator again  
16 in Vienna. But, again, in Vienna 3000 people per  
17 square kilometer; it's very difficult for them to  
18 recycle much more than a third of the waste.

19 So the point here is that recycling and  
20 composting will not do it all. They just can't.  
21 Best practice in Europe will allow us to pull  
22 about 120 kilos per person out of the bin  
23 containing dry recyclables. Perhaps 100 kilos per  
24 person per year of green waste.

25 But there's still a lot more left that

1 needs to be dealt with. On this slide, which one  
2 can make out there, it's just a very quick  
3 illustration of the fact that if you've got a  
4 system in your waste stream and you target a  
5 certain amount of materials as being recyclable,  
6 you give the service to a certain proportion of  
7 your homes. Some of those participate and some of  
8 those don't. And the ones that participate  
9 capture all or less than all of the material.

10 If you put in optimistic assumptions in  
11 each of those links in the chain, you can only get  
12 to about 60 percent recovery. And, of course, you  
13 don't need to make very pessimistic assumptions in  
14 one or two of those links by multiplying all these  
15 numbers together, each less than one, you quickly  
16 come down to very low levels of recovery.

17 So, back to Flanders with its waste  
18 prevention, its energy recovery, it's achieving  
19 the best in Europe.

20 But I wanted to move on to the tools.  
21 Luis has covered the amount of energy recovery in  
22 Europe. Okay, the key tools we're playing with in  
23 Europe: Variable rate charging, which we're not  
24 allowed to do in Britain. The mandatory  
25 collection of recyclables, which also applies to

1 biowaste in some countries.

2 Banning material from landfill or  
3 restricting it and taxing materials are the key  
4 clues to move effective use of resources.

5 Well, okay, that was quite an  
6 interesting one. That was showing you the --

7 (Laughter.)

8 MR. STRANGE: -- different tools that  
9 were available to be used in different countries.  
10 And I just wanted to mention a few of those  
11 because they are being used in quite adventurous  
12 ways. Somewhere here, my little table.

13 But it's to do with many countries now  
14 are using a blend of tools, carrots and sticks.  
15 So if you looked at my little table here you would  
16 see the most of the most successful countries are  
17 using a blend of landfill taxes and bans,  
18 statutory recycling targets, effective producer  
19 responsibility in a number of streams, voluntary  
20 agreements with different sectors, public and  
21 private, and different waste streams and product  
22 streams, separate collection and variable rate  
23 charging. But I wanted to show you which  
24 countries were using it and what that led to.

25 But in terms of the biggest tool before

1 I just move on to the conclusions, is the landfill  
2 directive in Europe. It affects all of the  
3 countries in Europe. And just as an update, there  
4 are 27 now. We had Romania and Bulgaria joined in  
5 January. It won't get a lot bigger, but it's big  
6 now. And we're about 300 million people across  
7 Europe.

8 But the directive affects us all with  
9 these targets that Luis has shown that we need to  
10 divert. But it's very interesting because the  
11 targets are fixed on the amount of organic  
12 material that was in the municipal waste in 1995.  
13 Apologies, I told you 1998 yesterday, but it was  
14 '95.

15 So that fixed a certain number of tons  
16 that would be allowed to be landfilled in Europe.  
17 And, of course, since 1995 the waste arisings have  
18 gone up for all the reasons I've shown you. And  
19 that's meant more and more challenging. And in  
20 countries they've tackled this in different ways.

21 But there are really severe penalties  
22 that will attach to countries that fail to meet  
23 these targets. \$1 million a day will be a quite  
24 normal fine to come from Europe on countries that  
25 don't manage to get these diversion rates in

1 place. And they bite because they get worse over  
2 time, and of course the waste arisings are  
3 increasing over time, so we get more and more  
4 squeezed.

5 I just wanted to spend a moment telling  
6 you that in England, that's not the whole of the  
7 U.K., but in England we've introduced in 2005  
8 something called the landfill allowance trading  
9 scheme, which is a very interesting innovative  
10 concept.

11 Which basically gives an obligation, an  
12 allowance to every local authority based on the  
13 amount of organic material they were disposing of  
14 back in the '90s. And it's permission to landfill  
15 biodegradable municipal waste.

16 And those allowances they can trade,  
17 they can bank, they can buy and sell them. And  
18 depending on what they have in place, in terms of  
19 their waste management system, they can make money  
20 or they can lose money. And they can opt to  
21 invest in infrastructure to avoid the charges that  
22 will inevitably come.

23 And is often the case with these permit  
24 trading systems, it's very easy. Last year, the  
25 first year it was measured, everybody complied.

1 But a report from our audit office came out at the  
2 end of 2006 and it showed quite conclusively that  
3 Britain will face a real problem complying with  
4 targets in 2010, 2013.

5 And when you look at how many millions  
6 of tons of biodegradable material have to be  
7 removed from landfill by then, even with  
8 optimistic assumptions about how much more waste  
9 is likely to be, you can see we, in Britain, will  
10 need something like 200 new waste management  
11 facilities. And those might be incinerators,  
12 composting plants. It's a remarkable burden on  
13 communities, but it's going to have to be  
14 developed.

15 So the next question is how you can get  
16 through a planning system which makes it very  
17 difficult to put those kind of infrastructures in  
18 places.

19 So, very briefly, on to my conclusions.  
20 I've got really a final set of observations.  
21 Clearly in Europe we are worried about landfill  
22 diversion. It's a very crowded place and some  
23 countries really just don't have the land anyway.

24 We are focusing on waste prevention and  
25 there are some really neat examples which I could

1 talk to you about; national strategies of embedded  
2 prevention in and local strategies that are really  
3 delivering schemes.

4 The priority remains organics and the  
5 curbside collection of recyclables. And the more  
6 we can charge householders will provide an  
7 instrument that would effectively change their  
8 behavior.

9 And I think that's probably where I'd  
10 like to conclude. So, thank you very much.

11 (Applause.)

12 MR. STRANGE: I think the clapping might  
13 have woken up the ones that were asleep.

14 (Laughter.)

15 MR. STRANGE: Thank you very much.

16 MR. BERTON: Thank you very much. Okay,  
17 our next speaker is Chuck White with Waste  
18 Management, Incorporated. I don't have a bio for  
19 him, but he really needs no introduction, so --

20 (Laughter.)

21 MR. WHITE: Didn't I send a bio over?  
22 Well, thank you very much. I feel a little bit  
23 out of place with this august group and this  
24 panel. But I'll try to do my best to catch up.

25 I've had a series of epiphanies in my

1 lifetime that have kind of brought me to this  
2 point in time. One of the first ones when I was  
3 about four years old and I saw these big garbage  
4 trucks. And I thought, boy, this is pretty  
5 impressive; I want to do that.

6 The second one was actually Earth Day in  
7 1970 when I was in college and the founder of  
8 Earth Day, we know, he was at the University of  
9 Michigan, and I met, kind of woke me up. I said,  
10 well, maybe I don't want to be a mechanical  
11 engineer learning how to build automobiles; maybe  
12 I want to become an environmental engineer. So I  
13 kind of did that.

14 But when I was still working with  
15 Oldsmobile as a student trainee, I had this very  
16 in-depth conversation with the engineer that I was  
17 working for. You've all seen the movie "The  
18 Graduate" perhaps, where it's "plastics, young  
19 man, plastics"? Well, the Oldsmobile engineer  
20 said, it's waste, young man, it's waste. We need  
21 to figure out what we're going to do with all this  
22 waste we're generating. So that was kind of my  
23 third epiphany.

24 My fourth epiphany, I think, is  
25 greenhouse gases. And this last year has kind of

1 taken over my life with respect to this issue.

2 I've been asked to talk about feedstock  
3 quality, separation of markets. I'm kind of a  
4 regulatory affairs guy. I spend more time in this  
5 room and this building trying to figure out what  
6 the regulatory agencies are up to, than I do  
7 necessarily worrying about feedstock quality and  
8 separation.

9 But I'll try to do my best with respect  
10 to this issue that is really emerging this last  
11 year with respect to climate change.

12 People think of Waste Management as a  
13 big landfill company and a garbage company, \$13.5  
14 billion company. We've got 350 landfills  
15 throughout the United States and all this kind of  
16 thing. But more and more I'm beginning to think  
17 of Waste Management as a recycle energy company.  
18 And why is that?

19 Well, truly we have a lot of landfills,  
20 but we generate 470 megawatts of power from the  
21 landfill gas that we collect. And we're certainly  
22 not collecting all the landfill gas that we need  
23 to be doing. There's a lot more we can do, and  
24 I'll touch on that as I go through.

25 And we have 17 waste-to-energy plants.

1       So we own Wheelabrator, which is one of the  
2       largest companies in the United States, that  
3       converts waste to energy, primarily in the east  
4       and Florida. But we also have a plant here in  
5       California that does biomass, wood waste to  
6       energy.

7                 But by far the largest energy, and by  
8       indirect result, on greenhouse gas emissions is  
9       our recycling operations. We're one of the  
10      largest collector of recyclable materials,  
11      processor of recyclable, marketer of recycled  
12      materials, in the United States. We have 138  
13      recycling facilities. And the amount of energy  
14      that's saved as a result of recycling rather than  
15      using virgin materials dwarfs the other two  
16      categories.

17                And so when we talk about how we're  
18      going to be moving to the future of waste  
19      management, and I mean the little "w", little "m",  
20      in California and the United States, these are  
21      important factors to keep in mind.

22                Was 2006 the year of greenhouse gases?  
23      Well, it certainly was here in California. But I  
24      can tell you, just wait for 2007 and 2008 and 2009  
25      and 2010 and so on. It's just going to keep on

1 ratcheting up. And I really think this is going  
2 to be one of the biggest drivers, not only of the  
3 solid waste industry, but through our society, as  
4 a whole. And I don't think any of us really fully  
5 recognize what the consequences of this are going  
6 to be, but I think it's pretty exciting. And  
7 that's why I kind of think that's one of the  
8 biggest epiphanies in my life, is trying to get a  
9 better handle on what climate change will do, not  
10 only to society as a whole, but also to our  
11 industry.

12 With respect to emerging programs, and  
13 believe me, they are just emerging. We don't know  
14 where the mandatory greenhouse gas reporting and  
15 inventorying is going to go. The enforceable  
16 greenhouse gas emission caps. What kind of offset  
17 or credit trading program is going to evolve.  
18 What role is the waste operations, both landfills,  
19 our collection fleet, going to play in this new  
20 developing scheme.

21 Potential carbon taxes could have a huge  
22 impact on our operations. New fuel engine  
23 mandates; we see those go on all the time. And  
24 transition to low carbon fuels; that's going to  
25 hurt our truck fleet, but at the same time may

1 provide an opportunity if we can provide that fuel  
2 from some of the biomass that we own and operate,  
3 including landfill gas and including the biomass  
4 we receive. And what kind of new technology  
5 incentives are out there to really move the ball  
6 forward.

7 Now Citigroup is a big investment group;  
8 and they look at investing in solutions to climate  
9 change. And they had a number of findings  
10 recently this last year. The U.S. will likely  
11 follow the global trend. We'll be behind, but we  
12 won't be that far behind I don't think. There's a  
13 lot of legislative activity, certainly in  
14 California.

15 But just take a look at the number of  
16 bills in the U.S. Congress right now. And some of  
17 those are very aggressive bills, although the most  
18 aggressive ones are modeled pretty closely after  
19 AB-32 that we have here in California.

20 There's a lot of investment  
21 opportunities. In fact, that's one of the center  
22 points of Governor Schwarzenegger's efforts is  
23 that this is really going to help the economy grow  
24 because it's going to bring new businesses, new  
25 opportunities. But there's clearly going to be a

1 transition.

2 Oh, and by the way, the Citigroup  
3 mentioned the clean dozen companies that they  
4 thought were best suited to respond to this, and  
5 I'll just mention one. Oh, yeah, it's Waste  
6 Management.

7 (Laughter.)

8 MR. WHITE: Anyways, well, what is the  
9 solid waste greenhouse gas sources and sinks?  
10 There's a whole bunch of them, but really the four  
11 biggest ones are, number one, our collection and  
12 transportation fleet and its net source of  
13 emissions.

14 But we need to figure out ways we can  
15 lower those emissions through more efficient  
16 collection, more efficient routing. We're even  
17 looking at hybrid refuse trucks that we think has  
18 a potential of reducing fossil fuel consumption by  
19 as much as 40 percent.

20 So there is clearly a source of  
21 emissions we've got to take responsibility for.  
22 We've joined the California Climate Action  
23 Registry this year. And we're going to be  
24 reporting our entitywide California emissions for  
25 the first time anyway in the United States. And

1 we're going to be rolling that out for the rest of  
2 the country. And it's really going to be  
3 interesting to see what Waste Management's net  
4 footprint is with respect to sources, and other  
5 sources and sinks.

6 Well, now landfills. They're clearly a  
7 source of greenhouse gases, fugitive emissions of  
8 methane. But we've been regulated for methane  
9 capture in California more stringently than  
10 anyplace else in the country for a long time, over  
11 16 years. And so we think that a majority of our  
12 landfill gas has been captured.

13 Now there are some landfills that don't  
14 have gas collection systems. None of ours,  
15 typically smaller ones. But there's probably more  
16 we can do to really make sure we're doing  
17 everything we can to capture the landfill gas and  
18 turn it into a beneficial use, into energy.

19 Right now only about 50 percent of the  
20 landfill gas in California that is being captured  
21 is being used to generate power. It's just being  
22 flared. Now, it turns it back into carbon  
23 dioxide, which is a biogenic form of carbon  
24 dioxide that comes from biomass. But nonetheless,  
25 there's more we can do.

1                   And also landfills are a sink. About 50  
2 percent of the carbon of the potentially  
3 biodegradable carbon, biogenic carbon, is  
4 sequestered. Landfills form an anaerobic  
5 environment; as long as that anaerobic environment  
6 is maintained, lignins and other kinds of  
7 materials in the waste are essentially stored.  
8 And maybe provide an opportunity for recovery.

9                   In fact I was down at the California  
10 Climate Action Registry conference last week in  
11 Santa Barbara and one of the big editorials in the  
12 local Santa Barbara paper is how they wanted to go  
13 back in and mine the waste out of the local  
14 landfill down there and use it for energy  
15 recovery.

16                   Why is that energy recovery a potential  
17 possibility? Because there's carbon stored in  
18 that landfill.

19                   Waste-to-energy. I mentioned  
20 Wheelabrator. We have a lot of mass burn  
21 facilities. They're not particularly popular here  
22 in California. We wish that we could change that.  
23 We think they're a pretty clean technology. But  
24 there's a lot of environmental opposition to high-  
25 temperature technologies, certainly mass burn, but

1 others as well.

2           It's clearly a source of emissions to  
3 the extent that a portion of the waste stream is  
4 derived from fossil fuels like plastics. Those  
5 are a net anthropogenic source of greenhouse gas  
6 emissions. But to the extent you actually  
7 generate power from the biomass it's a net sink as  
8 a displacement for fossil fuels.

9           And then finally, and one we can't ever  
10 forget, is recycling and composting. And it's a  
11 net sink. Every recycle material you collect has  
12 a net benefit of reducing greenhouse gases as a  
13 replacement for virgin materials. One of the big  
14 factors, though, is transportation. How far do  
15 you have to transport that using fossil fuels to  
16 get it to a point of use.

17           The history of solid waste management in  
18 the United States has really undergone tremendous  
19 changes. Prior to the '70s there were -- sanitary  
20 landfills were rare. Wastes were dumped and  
21 burned to reduce volume. Waste incinerators had  
22 no pollution control. There was very little  
23 recycling. And that, by the way, is based on a  
24 paper that I've got a reference in the back. It's  
25 on there by Weitz and Thorneloe.

1           Major changes have included source  
2           reduction, recycling, composting yard waste,  
3           integrated regional waste solutions, waste-to-  
4           energy facilities with minimal environmental  
5           burden, and the adoption of sanitary landfilling  
6           practice that has controlled landfill gas and  
7           leachate recirculation and addition of other  
8           liquids and so-called bioreactors to enhance the  
9           biogenic.

10           And here's the kind of summary this  
11           paper comes up with of where we've been over the  
12           last 30 years in waste management in the United  
13           States. If we had followed the 1974 technology  
14           path we would be basically generating far more  
15           greenhouse gases today than we were back in 1974.

16           But instead, the actual technology path  
17           of transitioning to more recycling, more source  
18           reduction, more energy recovery and most  
19           importantly, we've controlled our landfill gas to  
20           a high degree; and we certainly look for further  
21           room for improvement.

22           But there's been a net 50 million metric  
23           tons of carbon equivalence in the United States  
24           avoided because of the practices. There's very  
25           few industries in the United States that can point

1 over the last 38 to 40 years a net decline in  
2 greenhouse gas emissions. If you look at the  
3 automobile, petroleum refinery, cement, they're  
4 all going up. The waste industry, we believe, and  
5 this study certainly supports that, has gone way  
6 down. There's still room for improvement.

7 One of the great documents I urge people  
8 to familiarize themselves, if you're not already,  
9 is this latest publication of solid waste  
10 management and greenhouse gases by USEPA. And it  
11 really does a complete lifecycle analysis. It  
12 points out some of the limitations of their  
13 evaluation, the need for more data. It's  
14 available on EPA's website for downloading.

15 And it really comes up with a kind of an  
16 interesting conclusion. It says source reduction  
17 makes the most sense for greenhouse gases.  
18 Recycling is second. Energy recovery is next.  
19 And composting and landfilling are actually pretty  
20 close to each other. I kind of put composting up  
21 ahead of landfilling because I thought that was  
22 the right thing to do.

23 (Laughter.)

24 MR. WHITE: And here's the kind of thing  
25 they go through in a lifecycle analysis. Now, I

1 hate people that give presentations with slides  
2 like this, because you can't possibly decipher  
3 what it says.

4 But suffice it to say that it's a  
5 description of the overall lifecycle starting from  
6 virgin materials through the manufacturing of  
7 products, the generated and greenhouse gas  
8 emissions from the manufacturing process; to the  
9 recycling, and sinks of greenhouse gases. Then  
10 the transportation of waste products to landfills,  
11 to composting; and to waste-to-energy facilities.  
12 And the net emissions and net sinks of greenhouse  
13 gases that come through this overall train. It's  
14 a very excellent summary of the state of  
15 evaluation of greenhouse gases.

16 Let's take a look at landfills. Carbon  
17 inputs to landfills, basically 50 percent of the  
18 waste that goes into a landfill is sequestered.  
19 There's carbon storage for a long term due to the  
20 anaerobic environment.

21 About one quarter of the carbon comes up  
22 as methane. That's the bad stuff. We get  
23 penalized for that; everybody hates to think of  
24 the methane, and that landfills generate methane.  
25 But we put in landfill gas collection systems that

1 are very effective at reducing that. The question  
2 is how much of the reducing of that, and that's a  
3 big unknown.

4 We can measure how much landfill gas we  
5 collect, but we can't measure the landfill gas  
6 that is fugitively emitted. And you have to use a  
7 number of assumptions and calculations to derive  
8 an estimate of the fugitive emissions. And  
9 there's a wide variety of opinion.

10 In fact, EPA currently uses a factor of  
11 75 percent capture of landfill gas. Where did  
12 that 75 percent come from? They did a survey of  
13 the various managers at landfills around the  
14 country and asked them what they thought the  
15 estimate was. And it ranged from about 50 percent  
16 to 100 percent. So guess what number they chose.

17 (Laughter.)

18 MR. WHITE: That's where the numbers  
19 come from for methane emissions from landfills.

20 So, you know, the question is how well are  
21 you operating your landfill gas system and how  
22 finely tuned is it.

23 The other quarter is upping the CO2,  
24 which, again, I pointed out is biogenic. It  
25 really doesn't really contribute as CO2, but as

1 good CO2 in the sense it doesn't come from fossil  
2 fuels.

3           Sorry to do this to you folks, but I'm  
4 sure you can't read it. But I'll try to summarize  
5 it for you. There are various types of carbon  
6 biomass that goes into landfills. My number's  
7 about 52 percent; it was off the Waste Board's  
8 work. And there's probably some -- probably  
9 missed some numbers there, but it's generally over  
10 50 percent.

11           And take a look at the total tons  
12 disposed, of how much comes up as estimated to  
13 come up as methane, how much is carbon storage,  
14 how much you can get derived from recycling, the  
15 Btus, and the avoided, the CO2 that could be from  
16 energy recovery of all these wastes.

17           And down at the bottom you see the kind  
18 of comparison of landfill versus carbon storage,  
19 and there's about twice as much bad carbon going  
20 up in methane as in carbon storage. But that  
21 assumes only 75 percent capture of methane. If we  
22 could improve that and show we're capturing more,  
23 landfills could be a net-neutral contribution.

24           Now, does that mean that's all we can  
25 do? When I give this presentation people say, oh,

1       that's, there goes Chuck, again, he's talking  
2       about how landfills are the solution to global  
3       warming. And that's not what I'm saying at all.  
4       I'm just simply saying the landfills need to be  
5       evaluated for what they are.

6                 Take a look at recycling and composting.  
7       The highest numbers are for various papers and  
8       cardboard and you get more energy and greenhouse  
9       gas savings out of recycling that cardboard and  
10      paper into new cardboard and paper rather than  
11      trying to do any kind of energy recovery.

12                The low number is from composting of  
13      food, lumber materials, leaves, grass, prunings,  
14      trimmings and so on and so forth. Doesn't make a  
15      whole lot of sense to do composting of all those  
16      based upon as compared to paper and cardboard.

17                Take a look at the total Btus. If you  
18      have energy recovery from those Btus of only 20  
19      percent, and there's many technologies that can  
20      push that number higher, you really want to be  
21      focusing on your, you know, potentially it's  
22      better for paper, for example, to recycle it than  
23      it is to burn it, because you get more greenhouse  
24      gas reduction from that.

25                It's kind of a wash with respect to

1 food, so maybe it makes sense to do food  
2 composting. With respect to lumber we get far  
3 more energy value than recycling it, so it's  
4 better to generate the power from lumber. And  
5 cardboard, it makes more sense to recycle rather  
6 than burn it, so it makes more sense to pull that  
7 cardboard out before you send it to your energy  
8 recovery facility. Leaves and grass may make more  
9 sense to compost rather than burn it because you  
10 get very low return on heat. And then prunings  
11 and trimmings and branches all make sense to do  
12 energy recovery.

13 And here's just a chart showing the  
14 benefits of recycling. The biggest question is  
15 who's going to get the credit for this.  
16 Landfill's getting penalized for emissions, but  
17 who -- you talk about, this is a huge amount of  
18 greenhouse gas reductions from recycling, the  
19 collection and reuse of recycled materials in  
20 terms of avoided emissions from virgin materials,  
21 but who's going to get the credit. Is it going to  
22 be the State of California for passing the 50  
23 percent diversion requirement; or is it going to  
24 be the city or county for establishing the  
25 program; or is going to be Waste Management for

1 collecting it and doing it? Or is it going to be  
2 ultimately the manufacturer that makes use of  
3 these materials?

4 There's an interesting study that was  
5 done talking about materials management in the  
6 United States in the average community. A whole  
7 series of different scenarios that were done  
8 talking about 10 percent recycling, 90 percent  
9 landfilling; to 20 percent recycling to 80 percent  
10 landfilling; 30 percent recycling, 70 percent  
11 landfilling. And then about where California is  
12 now, 30 to 50 percent diversion, and with 70  
13 percent landfilling, as an example. And then more  
14 energy recovery and other types of long haul to  
15 large regional landfills.

16 And what's the net greenhouse gas  
17 reductions? Well, California's somewhere around  
18 between 4 and 5. We think the overall greenhouse  
19 gas emissions from the current system of the way  
20 our waste is managed is probably -- but we're  
21 probably getting close to a neutral because of all  
22 the recycling that's going on.

23 But if you take a look at number 7, the  
24 best option is biomass-to-energy in terms of net  
25 greenhouse gas reductions. That's number 7 there.

1           Number 8 and 9 are just simply long haul  
2           to large distant landfills. Because of  
3           transportation costs of greenhouse gases and  
4           energy, begin to go back again.

5           So, overall, from the greenhouse gas  
6           standpoint it makes sense to separate those things  
7           to generate power. The problem is the net  
8           annualized cost. For 20 percent energy recovery  
9           the costs of, again number 7, is energy recovery,  
10          is very expensive. And it is a huge detriment.

11          We went through a process in Coachella  
12          Valley, Palm Desert to try to figure out if we  
13          could put in a waste-to-energy project. We chose  
14          anaerobic digestion as being -- the local  
15          government that was at the table with us wanted to  
16          find one that had the most experience, and it  
17          seemed to be anaerobic digestion in large part  
18          because of all the effort in Europe.

19          The problem was it was going to increase  
20          the tip fee about \$10 a ton. And that was a cost  
21          that they were really concerned about paying, plus  
22          the fact they weren't certain they would get the  
23          diversion credit for it. So that project is kind  
24          of stalled.

25          I guess the point is we need to work

1 together as private enterprise with local  
2 governments to come up with the solutions even  
3 though they may, in fact, cost more money.

4 Waste Management's number one priority  
5 right now is to cork our flares. We want to get  
6 off of just simply flaring the gas and we want to  
7 convert it to energy.

8 Here's kind of Waste Management's  
9 priority. Number one, we want to make sure we're  
10 collecting all the gas we can. About 95 percent  
11 of it in California of waste in place has gas  
12 collection system; 95 percent has flaring and  
13 methane destruction. But we want to move to more  
14 internal combustion engines only about less than  
15 50 percent used in internal combustion engines;  
16 another 10 percent use turbines or boilers. And  
17 we can improve upon that.

18 The problem is we're running into NOx  
19 emission problems, criteria pollutant problems  
20 that are forcing us to perhaps go back to flaring,  
21 and I'll talk about that if I have time in a  
22 second.

23 The next step would be refining the  
24 landfill gas to make a natural gas. That's much  
25 more expensive. We're going to try to do a

1 demonstration project in one of our landfills  
2 later this year, or the next couple years. But  
3 there's no one doing that right now.

4 But then the next step beyond that is to  
5 prevent the organic material from going into  
6 landfill in the first place. And then use  
7 alternative methods of management such as compost  
8 conversion technologies to fuel.

9 We got some real challenges to landfill  
10 methane recovery and use because of variability of  
11 contaminants. I know Pat Sullivan will talk about  
12 that later. The expense of equipment and  
13 operations. And the criteria pollutant emissions  
14 standards. Everybody says you don't want to have  
15 any backtracking on criteria pollution emission  
16 standards like NOx.

17 But the problem is the regulatory  
18 agencies, the air districts, are lowering these  
19 standards more and more and more. It's just not  
20 holding to current standards, which you might be  
21 able to meet; but the new standards they're coming  
22 up with have the potential of shutting down  
23 landfill gas-to-energy recovery systems because of  
24 the problems of meeting the criteria pollutants,  
25 primarily NOx.

1                   Then to go into the final step of going  
2                   to cellulosic ethanol converting, that's one of  
3                   the things we're looking at. Look at working with  
4                   BlueFire; you'll hear more from the BlueFire  
5                   project. To see if we can actually divert waste.

6                   And I love this chart because it  
7                   compares corn ethanol today with corn ethanol  
8                   using coal for power, as compared to cellulosic  
9                   ethanol.

10                   One of the big challenges we're facing  
11                   through is diversion credit. Right now we can  
12                   take biomass and put it onto a landfill as  
13                   alternative daily cover and get diversion credit  
14                   for that. But if we take that same biomass and  
15                   put it into an energy recovery like cellulosic  
16                   ethanol plant it's considered to be disposal.  
17                   That's got to change because that's going to be a  
18                   net lock to prevent the development of these  
19                   technologies.

20                   Positive message for the waste industry.  
21                   Waste-related emissions are small in total. You  
22                   take a look at all of our collection. Landfill  
23                   gas, our recycling, our waste-to-energy. Progress  
24                   has been significant; huge reduction in the past  
25                   years. We've increased recycling rates. We're

1 moving landfill gas controls from 15 years to zero  
2 percent to more than 90 percent captured today.  
3 Increased diversion to energy and alternative fuel  
4 vehicles, which Waste Management's taking a lead  
5 in.

6 The big issue is going to be further  
7 landfill gas control and carbon storage and how do  
8 you make accurate estimates of what's really going  
9 on there. And, of course, the opportunities for  
10 further waste-to-energy are ever so important.

11 I've listed some references. A lot of  
12 this information is available. I'd be happy to  
13 provide these references or access to them if  
14 anybody is more interested.

15 Thank you very much.

16 (Applause.)

17 MR. BERTON: Thank you, Chuck.

18 MR. WHITE: Fernando kept that going,  
19 you know, one minute, one minute, one minute.

20 MR. BERTON: It's a very long one  
21 minute.

22 (Laughter.)

23 MR. BERTON: Thank you very much. Just  
24 as a reminder, there will be a chance for  
25 questions and answers after the next session; and

1 all these PowerPoint presentations will be posted  
2 on the Biomass Collaborative's website.

3 It's break time now. If you can come  
4 back at 10:25 for the next session. So, thank you  
5 very much.

6 (Brief recess.)

7 MS. GILDART: We're going to start our  
8 sixth session. It is on biofuel production from  
9 municipal wastes. I think we've got a very  
10 interesting panel of speakers here. At the end of  
11 this session we should have time for some  
12 questions and answers before we break for lunch.  
13 Lunch will be in the Sierra Room where you just  
14 had your break.

15 The moderator for this session is Rob  
16 Williams. And he is the Research Engineer for the  
17 California Biomass Collaborative at UC Davis. And  
18 he has been with the Collaborative since its  
19 inception over four years ago. Rob.

20 MR. WILLIAMS: Thanks, Martha. And  
21 welcome back to session number six. Our first  
22 speaker in this session is Nocy Sumait. She's a  
23 Senior Vice President of BlueFire Ethanol with  
24 responsibilities for business development and  
25 regulatory affairs.

1           Necy has been a long-time proponent of  
2 cellulose-to-ethanol processes and systems.  
3 Originally under the Arkenol name, or the Arkenol  
4 Company, which is the technology licensor for the  
5 BlueFire system.

6           Necy's also a member of the California  
7 Biomass Collaborative Executive Board. Prior to  
8 Arkenol, Necy was Vice President of Project  
9 Development for Luz, where she led the efforts to  
10 gain regulatory approvals from the Energy  
11 Commission and others for either solar thermal  
12 power plants of which seven were built in an  
13 under-five-year period.

14           Necy looks forward to an even more rapid  
15 deployment of BlueFire Ethanol opportunities  
16 starting in California. So, Necy.

17           (Applause.)

18           MS. SUMAIT: Good morning. I want to  
19 thank the Integrated Waste Management Board for  
20 focusing on the issue of MSW-to-ethanol; and  
21 actually it's a great opportunity. We had two  
22 other Board Members here, at least for, you know,  
23 part of the time to listen to the opportunities of  
24 doing something more with NSW.

25           Yesterday we heard phrases like, the

1 stars are aligning. We heard about convergence of  
2 interests forming creative innovative  
3 partnerships. We heard an oil company spokesman  
4 say biofuels are here and now. We heard GM  
5 committing to produce more flexible fuel vehicles  
6 in the future. So, indeed, I think the time is  
7 now.

8 Biofuels, in our estimation, will be the  
9 most significant achievement in the 21st century.  
10 And I'm personally happy to have survived a long  
11 trek to get here, and excited about the  
12 opportunity that lies before us, not only as  
13 BlueFire, but for California, as well.

14 I think it's important to remind  
15 ourselves, you all know what this slide contains.  
16 You know, why we're all here. It's important to  
17 take a few minutes to do that.

18 We need to reduce our foreign oil import  
19 dependency. Sixty-five percent of our U.S. oil  
20 consumption is imported. Oil imports are the  
21 largest single element of our U.S. trade deficit.  
22 California only produces 37 percent of its oil  
23 supplies here in the state. And we heard  
24 California relies on petroleum fuels for 96  
25 percent of our transportation needs.

1           As our urban communities grow, as we  
2           continue to find alternative disposal for  
3           agricultural residues and for creating more health  
4           for our forests, we need to look forward and get a  
5           solid waste management strategy that works. And  
6           of late there's a lot of awareness about global  
7           climate change. And, of course, the preservation  
8           of natural resources.

9           The transportation sector, alone,  
10          accounts for 40 percent of California's annual  
11          greenhouse gas emissions. So focusing on that  
12          sector, I think, will create the most significant  
13          impact on reduction of greenhouse gas.

14          Another statement of fact. We all know  
15          that ethanol is produced in the midwest from corn.  
16          But yet our markets for ethanol are in the coastal  
17          areas. So we need to create geographic diversity  
18          in ethanol production. And we think cellulose  
19          could do that. Cellulose is the future of  
20          ethanol. Corn will always have a place on the  
21          table, and there's plenty of demand for all of  
22          that. But we need to be able to use our biomass  
23          so we can gain significant progress in meeting our  
24          energy security goals.

25          The Department of Energy's experts have

1 estimated that greenhouse gas emission reductions,  
2 and you saw it from Chuck's slide earlier,  
3 provides 90 percent reduction over petroleum. And  
4 if we put these biorefineries within landfills  
5 they're even greater greenhouse gas benefits.

6 We will create the geographic diversity  
7 by bringing ethanol production closer to the  
8 transportation fuel markets. We will contribute  
9 to our waste management goals of diverting  
10 cellulosic materials from landfill and creating  
11 more beneficial uses for agriculture and forest  
12 residues.

13 If we do all that right we would have  
14 established a new industry that creates economic  
15 development for our rural and our urban  
16 communities.

17 So one statement that I hope you all  
18 come away with today is that landfills, we need to  
19 look at them as our new energy source. The  
20 landfill wastes will continue to be there with or  
21 without us. Instead of burying it in the ground,  
22 it's useful to convert those to more useable  
23 products.

24 To the extent that landfill gas is also  
25 available it could be used to generate the power

1 and the steam requirements for the ethanol  
2 biorefinery. And theoretically, since existing  
3 landfills already have regulatory oversight, it  
4 might simplify permitting for ethanol  
5 biorefineries. And we're hopeful for that.

6 And lastly, it would generate the  
7 greenhouse gas credits for ethanol production in  
8 addition to what's already benefitting us, as  
9 Chuck had said earlier, in landfills.

10 Of course, you know, BlueFire is very  
11 excited about receiving a DOE grant. But I think  
12 that DOE grant is a California victory. We now  
13 have an opportunity to show the rest of the nation  
14 that California can do cellulose-to-ethanol. We  
15 have a reputation to set trends; we have a large  
16 transportation market; we have significant biomass  
17 resources.

18 I just pulled this from the Integrated  
19 Waste Management Board's website. And I guess  
20 this number is even understated. If you had 15  
21 million tons of materials going to landfill,  
22 conservatively that's a billion gallons per year  
23 of ethanol. That's our current demand for  
24 ethanol. We could fill that just with landfill  
25 waste.

1           Technology is already available to  
2           convert biomass renewable fuels. There's several  
3           ways to produce ethanol from biomass, you know,  
4           thermochemical, hydrolysis. At some level all the  
5           technologies work. And there's plenty of market  
6           for all to play.

7           The key would be to make them economic,  
8           to be sustainable in the marketplace, and to be  
9           competitive on a long-term basis. So I'll just  
10          focus on our technology, which is the concentrated  
11          acid hydrolysis process.

12          Our process does not require additional  
13          pretreatment. We don't use enzymes. And it's a  
14          concept that has been proven since the mid-1900s.  
15          War times when they didn't really -- well, they  
16          could disregard the commercial viability of a  
17          process, they produced ethanol just during war  
18          times as fuel.

19          That proven concept we took, and the  
20          significant improvements that we have patented  
21          make that process more economical for the  
22          marketplace. The feedstocks that could be used  
23          for the process range from urban waste to ag waste  
24          to forest waste. The acid does not discriminate  
25          as to the source of cellulose. It has a tolerance

1 for a mixed waste stream to produce ethanol,  
2 lignin and gypsum.

3 Just a little bit about BlueFire  
4 Ethanol. July '06 we were traded on the pink  
5 sheets as BFRE. As Rob said, we are the exclusive  
6 licensee of Arkenol's concentrated acid hydrolysis  
7 for North America. We're headquartered in  
8 California. But the staff and the majority  
9 shareholders of BlueFire has been with the  
10 technology development under Arkenol since 1992.

11 We're an experienced developer of energy  
12 projects. Actually we began this journey as  
13 ArkEnergy. We were power plant developers;  
14 financed over \$1 billion worth of energy projects.  
15 In the PURPA days, if any of you are familiar with  
16 it, in order to be an independent power producer  
17 you needed to have a cogeneration thermal host.

18 So we looked at what thermal host we  
19 could put in that would use the steam for power  
20 plants, to make us more competitive in the PURPA.  
21 We looked at different opportunities and settled  
22 on ethanol. And we looked at different  
23 technologies that are already available.

24 And we picked concentrated acid  
25 hydrolysis because the information shows that it's

1       been demonstrated and proven. And that with just  
2       minimum proprietary improvements we could make  
3       that process economical and be ready to  
4       commercialize the technology. That was in 1992.

5               In the mid 1990s we piloted the facility  
6       in the City of Orange in southern California. In  
7       that facility we tested various equipment; we  
8       tested various feedstock, all the way from Holland  
9       to Minnesota, a lot of straws here in Sacramento,  
10      wheat straw, all kinds of biomass.

11             We also, in 1990, if any of you remember  
12      the Sepco project, to produce ethanol from rice  
13      straw. We went through the process with, at that  
14      time, the California Energy Commission because we  
15      were building it next to a power plant.

16             We took that process through a  
17      permitting over a two-year period, scrubbed clean  
18      and obtained all the permits in hand ready to  
19      begin construction of a 12-million gallon per year  
20      ethanol plant. Unfortunately, it was probably a  
21      decade and a half too early for the market. We  
22      weren't able to finance it. And I'll talk about  
23      the slides that are -- about the constraints to  
24      commercialization of the technology a little bit  
25      later, and put the Sepco project in that context.

1           So, I mention that to say that we know  
2           that the process can be permitted. It's a benign  
3           process. And we met the regulatory review of the  
4           various federal, state and local agencies, and got  
5           our authorizations to begin construction for that  
6           project.

7           In about 2000, 2002, JGC, which is a  
8           Japanese company, we licensed the technology to  
9           them and they built a pilot facility in Izumi,  
10          Japan. After four or five years of operating  
11          experience they validated our results from the  
12          City of Orange experience.

13          I'm not the Chief Technology Officer, so  
14          I get to use block diagrams to go over the  
15          process. But basically it is a concentrated acid  
16          hydrolysis. We use the acid to break down the  
17          cellulosic polymer. Cellulose is just a polymer  
18          of glucose molecules. Lignin is the glue that  
19          holds them together.

20          The lignin is used for power production.  
21          And the acid and the sugar goes to an acid/sugar  
22          separation. This acid/sugar separation is one of  
23          the keys to our process. In the old technology  
24          they weren't able to effectively separate the acid  
25          from the sugar, so there's a lot of waste.

1                   We are able to recycle the acid. In  
2 fact, our makeup is less than 5 percent. So after  
3 the acid/sugar separation the sugars go on to just  
4 traditional fermentation to produce products like  
5 ethanol. And the acid is recycled to be used back  
6 in the process.

7                   There's some pictures of the facility in  
8 Izumi, Japan. It is about 6 tons per day. A lot  
9 of the existing equipment are used in other  
10 industries. You know, we always get the question  
11 of scale-up. Actually some of the pieces of  
12 equipment that was used at Izumi had to be scaled  
13 down so that it could be used in a pilot facility.

14                   So our research is done. Our pilot  
15 plant experience is done not once, but twice.  
16 Most recently with a third party that owned the  
17 plant, validated the plant. That provides us with  
18 that third-party validation. It's not just us  
19 saying it works. JGC is also saying that it  
20 works. And we're ready for the commercial  
21 facility.

22                   This is the slide I was going to talk  
23 about, the constraint to commercialization. Why  
24 hasn't a cellulose-to-ethanol plant been built?  
25 And basically it comes from most of the technology

1 providers are small companies needing outside  
2 capital. So, for us it's never been the  
3 technology; it's the structure under which we  
4 needed to finance the technology.

5 In the ArkEnergy days we were able, like  
6 I said earlier, finance \$1 billion worth of energy  
7 projects. So we went to those same people and  
8 they said, great, we know you guys, you're  
9 credible, we like it, come back to us for a second  
10 plant.

11 So the risk profile of private capital  
12 for that first plant is difficult for a small  
13 company unless you have a significant balance  
14 sheet.

15 They really focus on three areas with  
16 regards to feedstock. In the Sacramento project  
17 we obtained growers of contracts for rice straw  
18 for over 100 percent of what we needed. These are  
19 growers that have grown rice straw forever. But,  
20 at the end of the day, project finance folks  
21 didn't see it to be creditworthy. It's not  
22 viable. There's no guarantee that Grower Smith  
23 will continue to be there and provide the spec and  
24 the backup, liquidated damages, et cetera, in the  
25 event it doesn't provide the feedstock.

1                   So now with regards to the product it's  
2                   becoming less of an issue now because the ethanol  
3                   market is really pretty significant and pretty  
4                   deep enough. So I think Wall Street's beginning  
5                   to feel more comfortable about the product.

6                   With regards to the conversion  
7                   technology, the issue there is the process  
8                   guarantee, the first one. A small company won't  
9                   have the balance sheet to put that together. But  
10                  with the JGC validation, with having JGC work with  
11                  the U.S. company, in our case it's MECS, which is  
12                  formerly Monsanto, we could do a failure mode  
13                  effects analysis and start to box the risk;  
14                  quantify those risks; estimate those risks; and  
15                  perhaps we, you know, -- so I think we have the  
16                  response for conversion technology.

17                  But Chuck touched on this before. As we  
18                  move forward, we need to look at the regulatory  
19                  constraints to commercialization. We always get  
20                  asked, great idea in municipalities, but does it  
21                  count. That needs to be changed. Municipalities  
22                  are faced with compliance requirements under AB-  
23                  939. And they need to get full credit for  
24                  conversion facilities.

25                  Also we need to be careful about not

1       having redundant permitting processes. There's  
2       already a regulatory framework that works. We  
3       went through it. It's viable. And so we need to  
4       avoid redundancy.

5               The new environment for ethanol and for  
6       renewable fuels is changing. We see federal and  
7       California policies that begin to create a  
8       renewable fuels market. Federal standards, I  
9       won't go through all of that. You know about the  
10      RFS, you know that Bush wants to increase that to  
11      35 billion gallons from the 7.5. He has calls for  
12      reduction in foreign imports, 75 percent by 2025.

13              And, of course, our own Governor.  
14      Twenty percent renewable fuels production by 2010  
15      and the low carbon fuel standard.

16              BlueFire, going forwards, you know, over  
17      the years, we've got to go look at the lowest  
18      hanging fruit. Our business model is based on a  
19      sustainable production platform. We're going to  
20      access the most reliable material that's already  
21      there, widely available and inexpensive.

22              We need to locate these facilities where  
23      it makes sense with strategic partners; where  
24      there are resources that's already there we can  
25      maximize the environmental benefits and reduce

1 incremental environmental impacts.

2 Landfill diversion facilities. We  
3 looked at residuals that come off of MRFs; that's  
4 excellent feedstock, like 80 percent cellulose, at  
5 least in the samples that we've seen.

6 We're also looking at co-locating with  
7 biomass power plants in which the infrastructure  
8 is already there. And we've been approached with  
9 being the anchor tenant in ecoindustrial parks,  
10 which is probably longer term.

11 So, we're looking for projects that have  
12 expansion potentials and replicable in the North  
13 American market.

14 These are just the milestones we've  
15 accomplished just since July of 2006. I don't  
16 include there the 15 years before as Arkenol. So  
17 it's been a long journey to get here. And we're  
18 excited about the promise of being there.

19 And you've all heard, I'll just cover  
20 the more recent progress, our U.S. Department of  
21 Energy grant. And then funding from the  
22 California Energy Commission.

23 The DOE grant is for the development of  
24 southern California biorefinery. We got \$40  
25 million, which is the 40 percent cost-share of the

1 total project costs. And it's going to produce  
2 approximately 18 million gallons per year of  
3 ethanol. We're trying to be very conservative.  
4 Using 700 dry tons of green and wood waste. We  
5 take advantage of the co-location advantages of  
6 being in a landfill. We can use the natural gas;  
7 to the extent electricity is there, infrastructure  
8 is there.

9           You know, we would then preclude  
10 additional environmental impacts by disturbing  
11 other locations.

12           We've got engineering and permitting  
13 efforts started. Barring the timeframe for  
14 regulatory approvals, we have to be in  
15 construction first or second quarter of 2008; in  
16 operation by 2009.

17           The participants of the project are, as  
18 you've heard, Waste Management, Inc., PetroDiamond  
19 for the offtake of the ethanol. They're a  
20 Mitsubishi subsidiary. JGC Corporation, which is  
21 like an equivalent to RFlor here in the U.S. And  
22 ECS, which is formerly Monsanto will do the EPC.  
23 Colmac Energy will take our lignin to burn at the  
24 facility in Riverside.

25           So, in summary I just wanted to

1 reiterate ethanol is a viable and immediate  
2 renewable fuel solution. It's here. Cellulose  
3 ethanol, I think, you know, together we've decided  
4 it's the future of ethanol.

5 Everyone knows when you mention  
6 cellulose, even people off the street, yeah, I  
7 know about cellulose. Ten years ago when I'm  
8 talking to regulators they're looking at me like  
9 yeah, right. So, we've come a long way.

10 But, as a nation, we must really make a  
11 commitment to commercialize cellulose-to-ethanol.  
12 And make that an imperative strategy. There needs  
13 to be an increased production of cellulosic  
14 ethanol, increased flexibility to blend higher  
15 levels of ethanol. Be nice to begin that in  
16 California in our reformulated gasoline.

17 Need to expand the E-85 refueling  
18 infrastructure. Increasing our flexible fuel  
19 vehicles production. And at the end we all win.  
20 Consumers would then gain fuel flexibility. Just  
21 like in Brazil. Brazilians can decide whether or  
22 not they want to put ethanol or gasoline in their  
23 flex-fuel vehicles.

24 Then pricing becomes related to demand.  
25 We are no longer addicted to oil, and without

1       being dependent on ethanol markets. So I  
2       encourage you to look at the possibility of this  
3       new paradigm and what California can do, as a  
4       state. You know, we've all worked this issue for  
5       a long time. And so I think hopefully now is the  
6       time that we can work together to make it a  
7       reality for our state.

8                     Thank you.

9                     (Applause.)

10                    MR. WILLIAMS: Thank you, Nocy. So our  
11       next speaker is Dr. Bin Yang. He's an Associate  
12       Research Engineer at UC Riverside. And he has 20  
13       years of experience in biotechnology and renewable  
14       energy from biomass.

15                    He's authored more than 45 peer-reviewed  
16       papers and book chapters. He's been invited to  
17       many conferences to give presentations. And he  
18       has two patents.

19                    His research interests are in  
20       bioprocessing for sustainable production of  
21       biofuels and materials and other value-added  
22       products from cellulosic biomass. He has a  
23       masters of science in chemical engineering from  
24       Northwestern University in China; and a PhD in  
25       food engineering from South China University.

1                   Before coming to Riverside he was a  
2                   research scientist at the Thayer School of  
3                   Engineering at Dartmouth. So, please welcome Bin  
4                   Yang, who will speak on cellulosic ethanol from  
5                   MSW.

6                   (Appause.)

7                   DR. YANG: Thanks for the introduction.  
8                   And the first off let me, I want to thank  
9                   California Biomass Collaborative and California  
10                  Integrated Waste Management Board, gave me  
11                  opportunity to present our latest status about  
12                  bioprocess production cellulosic ethanol.

13                  Status for cellulosic ethanol right now  
14                  is everybody talking about it, cellulosic ethanol  
15                  all ready to go for commercialize and signal come  
16                  from the government, come from the capitals, come  
17                  from research group, all one voice. And we have  
18                  to push the first commercialized plant come as  
19                  soon as possible. Then we can work on the second  
20                  generation in order to reduce the cost.

21                  The option cost is low and clearly  
22                  feedstock's low, as well, because based on \$42 or  
23                  \$40 per barrel of oil, equals to \$13 per dry ton  
24                  of a biomass. Clearly biomass is very cheap  
25                  feedstock we can use.

1           The capital cost is high because  
2           specific for new technology. And we near  
3           commercialize experience, so we have lots of  
4           equipment that could be required, lots of  
5           different technology require different facility.  
6           You cannot just simplified use currently a  
7           facility to use it.

8           And ethanol have a very low return. In  
9           other words, to have lots of higher investment  
10          risk. That's why the private many not really come  
11          that quick.

12          I think biologically Nocy just talk  
13          about how biologically work, kind of like typical  
14          biologically. Biological process have a couple  
15          very good ventures we want to take.

16          Number one, biological can get  
17          (inaudible) but as a come early products you have  
18          to be high yield -- to reduce its cost.

19          Number two, biological process could be  
20          do the continuous process; continuous process  
21          significantly reduces capital cost.

22          And right now lots of fundings, you  
23          know, are on the way like 500 million bp we know  
24          has already took the by Berkeleys; 250 million,  
25          you know, coming soon. And 384 announced by DOE;

1 and DOE also announce by project. So everything  
2 seems ready, at least fundamental angle.

3 Today I want talk about the pretreatment  
4 and enzymatic hydrolysis. The pretreatment is  
5 very tricky. Most of pretreatment method right  
6 now still use some mechanical method. The  
7 pretreatment method is not easy to make. The  
8 reason pretty simple because not only you have to  
9 concern about how much sugar release and how much  
10 solid you have to input in your pretreatment  
11 reactors, but also you have to entire your  
12 bioprocess for example, what kind of enzyme you  
13 want use, what kind of microorganism you want.

14 So that's kind of pattern you have to, you  
15 know, work.

16 And also the feedstock is different.  
17 Feedstock could be get different response by  
18 certain type of treatment which I will talk a  
19 little more about this.

20 These are the costs, which is done lots  
21 of work by NREL and our group, as well; and in  
22 Dartmouth, I think. And the stages I want to  
23 focus on is pretreatment enzymatic hydrolysis and  
24 fermentation. And we know the feedstock roughly  
25 30 percent, 33 percent. And like 18 percent cost

1 us for pretreatment. And 12 percent cost of  
2 fermentation. And 9 percent cost for the  
3 enzymatic hydrolysis. So total, this box, will be  
4 around 40 percent cost. If you want to reduce  
5 this process cost, that's okay to do that.

6 And if we blend out whole process during  
7 bi-process, we can lease out this things, which is  
8 important factor on the yield, also associated  
9 with the cost. So the high means the higher  
10 factors, medium factor or low factors. And if we  
11 highlight this will be, except that we don't want  
12 (inaudible) for the biomass production and  
13 harvesting and collection. I think that's a big  
14 topic. That's not my research area. And focus on  
15 pretreatment and the production enzymatic  
16 hydrolysis, and the hydrolysis condition.

17 The lignin part of residue is also big  
18 factors for reducing cost. And also if we found a  
19 new market for lignin probably we can dramatically  
20 change the patterns.

21 And if you highlight -- the pretreatment  
22 enzymatic hydrolysis and fermentation is okay in  
23 order to reduce those costs.

24 So what we can do for reducing  
25 pretreatment cost, so the things we can do now is

1 we have to get high yield with a low cost of  
2 chemicals and energy cost. And we also would have  
3 to reducing units cost. And we want to compare  
4 with different, or currently different  
5 pretreatment measures, seeing what's happened  
6 there.

7 And for this, same thing, also is  
8 pretreatment also require to reducing enzyme cost.  
9 If you get open structure as feedstock you  
10 probably require very low enzyme loading which is  
11 not okay for bioprocess.

12 The lab we set up in UCR now is focus on  
13 standing biomass (inaudible) pretreatment and  
14 solid hydrolysis, which is so we think that's okay  
15 point if we want to get low-cost technologies.

16 And currently funding we have is DOE  
17 CAFI as in lead by Dr. Jerry Wyman. And that's  
18 co-work with Auburn, Michigan State, NREL, Purdue,  
19 Texas A&M, British Columbia from Canada and  
20 Genencor, of course, supplies the enzymes.

21 And in my project right now, also have  
22 USDA which use a blocking technique to reduce  
23 costs. And NST many for continuous fermentation  
24 SSF. And then we also have many support to use  
25 CFD work with effluents. We don't have really --

1 reactor to simulate it. We can use a software to  
2 simulate it how, if you scale up, how what's the  
3 factors to impact on your economic number.

4 And also have one NSD money to support,  
5 to extract the proteins before and during the  
6 pretreatment. And as you know, there's lots of  
7 feedstock, like switchgrass, lots of proteins and  
8 others, new crops. If we can get proteins put in  
9 animal feed, but that's another critical we can  
10 take.

11 That's our equipment. And we basically  
12 view the pretreatment, use tube, be in the right  
13 side, because smart tube we use syn -- smart tube  
14 is a 4-inch or 6-inch tube with half-inch  
15 diameter. We can put it in -- heat it up. And  
16 with one minutes we can heat up certain  
17 temperature that -- into the cool water, we can  
18 cool down the temperature within one minutes.  
19 That's allow us to really monitor the whole  
20 connected change, minimize the heat trans, in  
21 effect your hydrolysis connects.

22 And also use tubes that -- explosion  
23 steam come, because once you use a steam gun you  
24 probably lose lots of, you know, one gas go to the  
25 atmosphere and other one in the receiver. Hard to

1 collect them in my work experience. So smart  
2 tubes get very good mass balance, allow us really  
3 know what's happen during the pretreatment.

4 And this one is a -- reactor, use the  
5 same strategies for heating and cooling. And we  
6 have -- use a continuous fermentation. This one  
7 with separation (inaudible) our steam gas.

8 And for CAFI I think is where I'll know  
9 around this area. For CAFI I, the project report  
10 already published in the Bioresource Biotechnology  
11 Journal last year. Probably you can take a look  
12 at the report.

13 The CAFI basically come up with ammonia  
14 recycle pretreatment, Y.Y. Lee from Auburn  
15 University, water only (inaudible) pretreatment  
16 with a flow slow, and Dartmouth College, which I  
17 was there for a number of years.

18 Ammonia fiber extension come from Bruce  
19 Dale, Michigan State. And (inaudible) come from  
20 Mike Ledisch, Purdue. And (inaudible) come from  
21 Mark Holtzapple, Texas A&M. And we have Tim  
22 Eggerman do the modeling and Rick Elander from  
23 NREL supply the feedstock.

24 And the CAFI basically have (inaudible)  
25 different manufacturers, different public

1 agencies, different companies. They're on the  
2 board; they can check the status. If you are a  
3 member you get the report; simultaneously we get a  
4 stage report.

5 And the CAFI I basically use the corn  
6 stover as its composition of corn stover. And  
7 CAFI I is a pretreatment condition for each  
8 (inaudible) based on the acid pH distribution.  
9 So, from land to -- acid, have temperature and  
10 have a concentration of acid of chemicals, what's  
11 a solid concentration. Probably hard to get this  
12 but I think most of concentrated is acid 25  
13 percent.

14 As Genencor enzyme, so Genencor supply  
15 different enzyme. Two of them is cellulase, one  
16 is xylenase, another one is pectinase. And that's  
17 the result from CAFI I, basically that shows your  
18 during hydrolysis first stage the hydrolysis,  
19 that's monoxylose. That's plus oligoxylose  
20 because not for every technology come up  
21 (inaudible) most of it monoxylose. That's  
22 monoglucose in the hydrolysis, and that's  
23 oligoxylose glucose in hydrolysis.

24 Then we go second stage, that's  
25 enzymatic hydrolysis. That's loading 15 FU

1 program. And that's the hydrolysis results. And  
2 that's oligoxylose, that's plus oligoxylose count  
3 in your hydrolysis. I think that's oligoxylose.

4 If you now catch up a couple slides,  
5 this is comparison, (inaudible) total sugar U; and  
6 you can come up with the idea very close for corn  
7 stover, I think. Different pretreatment can reach  
8 over 85 percent yield, some of it reaches 90  
9 percent.

10 And Tim Eggerman did use NREL modeling  
11 and did a economic calculation. They could become  
12 different numbers based on different things,  
13 different assumptions. This assumption they made;  
14 and this is come up with setting price for  
15 ethanol, around the \$1.30. And (inaudible) pretty  
16 much same range. Another one seems a little  
17 different. The reason pretty simple because this  
18 was only concern about -- it only concern mono and  
19 oligomers.

20 And if we concern about only monos,  
21 currently technology, the box convert only monos  
22 to ethanol. The black bar is the -- no, the black  
23 bar is, that's a price, supposed to be. And if we  
24 concern about future oligomer -- can be used for  
25 fermentation ethanol, the black bar shows up this.

1 So it's very much we can see, the very similar  
2 price comes up.

3           CAFI II I think start two years ago, and  
4 there is switched feedstock from corn stover to  
5 poplar. And right now is CAFE II still undergoing  
6 and lots of things there. And the key finding  
7 right now that's initial data showed if you use  
8 the same condition or close condition to do the  
9 pretreatment of the yellow poplar, there response  
10 differently.

11           Different technology, based on the, you  
12 know, enzymatic hydrolysis poplar pretreatments,  
13 so you got different patterns. And that's a  
14 xylose release during hydrolysis.

15           If I give the picture compares three  
16 different technology, -- get better and ammonia  
17 recycle you have to increase certain amount of  
18 enzyme loading. And -- pH responds pretty badly.

19           But I have to mention here that's not  
20 really optimized condition. Optimized condition  
21 we'll present in Denver, I think, after --  
22 something. We are collect the data and someone  
23 still work on the optimized conditions.

24           That's -- I want, how different response  
25 if you change the feedstock. That's feedstock

1 sensitivity.

2           So this is the feedstock come from CAFI  
3 II and original composition and the location,  
4 USDA-supplied. And it have found that the lignin  
5 content is 21 percent. And later then we get a  
6 second shipping come from different area, and it  
7 use (inaudible); they found a higher lignin  
8 popular and high lignin and the low lignin poplar  
9 respond different. And the low lignin poplar we  
10 can get better yield.

11           So, -- based on the different feedstock  
12 is very very sensitive. And also we take a look  
13 at different species. Basically there's a poplar  
14 come from (inaudible), and just grow in the  
15 different area and (inaudible). And responds so  
16 different. The clear information tells you we  
17 cannot say before, we said, hey, we've grew up  
18 tree in my backyard and when they're ready to  
19 process them just cut it off and process it.  
20 Probably have to take a certain time, certain fill  
21 and certain content and certain time to harvest  
22 the tree or whatever, to go into your process.

23           So I think right now I come to the  
24 finalize my slides, so biological provide power  
25 for lower cost of fuel and chemicals, you can get

1 better conversion. At least based on the corn  
2 stover results.

3 And the biological system require  
4 pretreatment if you -- in other words, we also  
5 joking each other, Charlie White, Charlie has said  
6 the most expensive pretreatment is no  
7 pretreatment. Basically the result pretreatment  
8 only have 20 percent you can get from directly  
9 hydrolysis.

10 And I come from the Washington, D.C.  
11 USDA EP meeting right now, some work on reducing  
12 the lignin content in the new energy crops;  
13 probably can reduce 50 percent in the laboratory  
14 scale. But even reducing 15 percent, they said  
15 the maximum they can do. And they can do like 20  
16 to 30, maximum of 40 percent result  
17 pretreatment. So pretreatment is very  
18 important if you want do the hydrolysis and  
19 fermentation process.

20 And the pretreatment does not really  
21 factor the whole different -- that's I was  
22 (inaudible). So we have to focus on -- if we  
23 focus on the biological plants, we have to focus  
24 on the pretreatment which is a (inaudible) to  
25 pretreat the different feedstock in order to get a

1 lower enzyme loading and a lower conversion cost  
2 and a high yield.

3 And finally I would thanks USDA, DOE  
4 give funding and the Natural Resource of Canada  
5 funded our partner in UBC. And CAFI team,  
6 students. The main thing in the CAFI team, I was  
7 join the CAFI team up to now. And we have set up  
8 same protocol; same screen, same everything. And  
9 we cross each other, send samples to each other;  
10 check the result.

11 I think that's really make more sense to  
12 do the very serious research and the CAFI result  
13 seems to make more sense to come, as people accept  
14 it. Because that's not really repeat one time, it  
15 repeat at least a number of times by different  
16 universities.

17 I also thanks Riverside, UC Riverside;  
18 give us facilities to do the work. Finally, I  
19 will use, as in the model, to show here. And then  
20 I would like to take your questions. Thank you.

21 (Applause.)

22 MR. WILLIAMS: Thank you, Bin. We'll  
23 have questions at the end of the session here.

24 Okay, as mentioned earlier Don Stevens  
25 will not be able to be here to talk today, so

1 we'll move on to the next presentation, which is  
2 Peter Knecht.

3 He's from Zurich, Switzerland. And he  
4 represents Kompogas. And he'll be talking about  
5 that process. He's responsible for business  
6 development and licensing. He's been three years  
7 with Kompogas. He has a masters in economics.  
8 Peter.

9 MR. KNECHT: Welcome, everybody. Thank  
10 you very much for being here, and to present what  
11 we're doing over in Europe. We already heard  
12 today that the main drivers in Europe is  
13 legislation, banning from landfill, all that kind  
14 of stuff that are the main drivers, incentives, to  
15 deal with the organic waste.

16 We just heard this morning that 27  
17 billion tons just in California are still going to  
18 be landfilled. That's really a huge amount. And  
19 you will see, I brought an example from an  
20 existing facility in Europe how much energy will  
21 be in that organic waste.

22 To start with, it's quite simple. The  
23 better the input -- it's like everything in life,  
24 the better the input, the better the output. You  
25 want to cook a meal, good ingredients, hopefully

1 good outcome. The same with the waste. If the  
2 waste is a clean good source, you will have a good  
3 clean product.

4 So what kind of wastes are we going to  
5 treat or are we able to treat. Basically quite  
6 everything. We always say a good mix of  
7 everything is very fine for us because the  
8 digesters need to have a well-balanced diet, as we  
9 do, as well. So if you eat chocolate from morning  
10 till evening, you will feel very sick. The same  
11 is going to happen to your bacterias in the  
12 fermentery. If you feed them not the way they  
13 want to be fed, they will feel very sick and they  
14 just stop working for you.

15 Basically we can treat woodwaste. We're  
16 not really that excited about the woodwaste, as  
17 its lignin, lignin is not really degrading into  
18 the biological process, so we're happy to hand the  
19 wood over to Pacific Ethanol.

20 The yard waste, biogenic waste, as we  
21 know in Europe, the green bin system, so separate  
22 collection for organic waste. Kitchen catering  
23 waste, which is here a lot of times still  
24 landfilled. And in Europe, in Switzerland is  
25 going to incineration which is a pity because the

1 really power is in the food waste.

2 Market wastes, it can be anything. I  
3 will touch on this later.

4 There have to say, these are clean  
5 sources of input material. So clean sources will  
6 lead to good quality end product, so compost and  
7 liquid fertilizer. It's also possible that's the  
8 good news, to process municipal solid waste, but  
9 mixed municipal solid waste needs pretreatment.  
10 So there we're talking about the NBT process. So  
11 needs mechanical pretreatment there.

12 I have to say out of our experience, and  
13 this was also said yesterday, the pretreatment is  
14 key. So, if you have a bad pretreatment everybody  
15 behind you, all recycling companies that will take  
16 care of the different fractions coming from the  
17 mechanical treatment, will have big problems to do  
18 their processes in a proper way.

19 And also, the good news is you can  
20 extract the energy; the bad news is mostly the  
21 compost quality that comes out at the end is not  
22 meeting any standards. So, it's again, go to  
23 landfill, which should not be the ultimate goal.  
24 The ultimate goal should be to close natural  
25 loops, natural cycles to come from a, let's say,

1 waste to a product.

2 We're often asked does it work, in our  
3 country, AD. And basically we have to say yes  
4 because it's just the materials have to be fed in  
5 a certain way. They like a special environment  
6 where they work, so basically it's keeping  
7 bacterias happy.

8 They do not know where they are, in  
9 which country, so it's dark in the fermenter, so  
10 they have no idea where they are. So they just  
11 work.

12 The bacterias, if you treat them in a  
13 good way, they're your best workers. They have no  
14 union; they don't complain; they work 24/7; no  
15 breaks. So they do basically what you want to  
16 have them to do if you treat them well.

17 I brought some comparisons about the  
18 waste streams. In Switzerland we have source-  
19 separated organic municipal solid waste. So we  
20 call it simply the green bin system. So the  
21 households separate the green waste. Including  
22 yard waste, food waste, everything that's organic.  
23 And just put it in the green bin. It's separately  
24 collected.

25 We have quite lot of structural

1 material, so garden, tree clippings and stuff like  
2 that. That's why the gas yield per ton of input  
3 is around 100 to 110 cubic meters. I will stick  
4 to the metric because I'm not really familiar with  
5 the imperial, but I translated it to the imperial.

6 The German waste looks a little bit  
7 different, as they have more food waste going into  
8 the green bin. So they will have also a higher  
9 gas yield, 110 to 125 -- cubic meters per ton of  
10 input.

11 Then the Spanish waste is organic  
12 fraction of municipal solid waste. So this is a  
13 facility really treating, let's say, to black bag.  
14 So everything together; mechanical pretreatment.  
15 And then the different fractions go to different  
16 recyclers and the organic fraction is treated  
17 bios.

18 The gas yield, this is a little bit  
19 difference to what I read in the script. We're  
20 achieving quite high yields, as well, because also  
21 the food waste content is very high. But also  
22 it's hard to get all the contamination out. In  
23 Spain we're in a vine region, in the Rioja, it's  
24 probably similar to Napa Valley. Big vine  
25 producers. We have there the problem they're just

1       throwing all their glass into the black bag, and  
2       glass will end up, or at least parts of it, in our  
3       compost.

4               A little bit about the process. So the  
5       process flow, everything that's pretreatment comes  
6       before, so all mechanical sorting would be at this  
7       end. So we come to an intermediate storage which  
8       is then constantly feeding our process.

9               So it goes to the fermenter. I will  
10      talk a little bit how this is working afterwards.  
11      From the fermenter the end product is going to be  
12      dewatered. I have to say, we're working in a dry  
13      fermentation so that means up higher 30 percent of  
14      dry solids. I will not touch on the topic of wet  
15      digestion today. The end product is dewatered, so  
16      we just -- it will be compost and liquid  
17      fertilizer.

18              From the fermenter the biogas is  
19      captured, and then brought to CHP units where it  
20      produce heat and power. The heat can be used, or  
21      in our case, part, a little part of the heat is  
22      used to heat the fermenter. The rest can be given  
23      to industries or district heating or whatever.

24              You can also take the biogas and scrub  
25      it to come to natural gas standard. And we're

1       introducing in Switzerland into that natural gas  
2       create as renewable natural gas, which is also  
3       then used to power CNG vehicles.

4               All the air from the buildings is taken  
5       and brought over, biofed through to be released to  
6       the atmosphere.

7               As I said, we're in the dry  
8       fermentation, so higher, or at about 30 percent  
9       dry solids. Our specialty is we're a horizontal  
10      system, so we're moving like a plug through the  
11      fermenter. So it takes the material from this end  
12      to the other, two weeks.

13              We're achieving a so-called  
14      hygienization, as hygiene is also a question of  
15      temperature and time. So, the plug is insuring  
16      our time, 14 days. And the temperature to  
17      thermophilic range is -- temperature. So like  
18      this, we have a hygienic end product. So  
19      salmonella and E.coli and that kind of stuff will  
20      be eliminated.

21              An easy understandable mass balance. I  
22      always say the rule of thumb is you put in one ton  
23      of material, organic material, you'll have mass  
24      reduction which is disappearing in biogas, of  
25      about 10 to 15 percent. The rest is basically

1 split up 50 percent liquid, 50 percent solid.

2 And as I said earlier, the gas yield  
3 will be, depending on your waste mix, about 110 to  
4 130 normed cubic meters of biogas, which is about  
5 the equivalent of 70 to 80 liters or about 20 U.S.  
6 gallons of petrol.

7 This will be a mass balance. Of course,  
8 you cannot read it. This is just to show what the  
9 mass balance would look like. So, if we follow  
10 the project we will analyze the waste. So we'll  
11 know what's the input material; and just if we  
12 know what the input material looks like and how  
13 much organic matter is inside, that it's  
14 organically degradable, we will know what your  
15 mass and energy balance will look like. So, as  
16 you can see, mass balance in the project looks  
17 quite complex.

18 This will be a very, let's say, simple  
19 plant layout. We always call it the core module  
20 because we do not come to a site very often where  
21 we can place a plant on a greenfield. So there is  
22 always existing infrastructure. So we have to  
23 take that in consideration.

24 So the elements we'll have here, the  
25 intermediate storage, which is constantly feeding

1 the fermenter. We have continuous system because  
2 continuous feed insures consistent gas quality and  
3 quantity.

4 So we will feed the fermenter. The  
5 fermenter over here. We have fermenters in steel,  
6 the small ones; and the big ones is concrete/steel  
7 construction.

8 So the material is basically flowing  
9 through the fermenter. It is two weeks. We take  
10 it out at the other end, bring it on the press.  
11 The compost is falling down; the liquid effluence,  
12 or the liquid fertilizer is flowing to this  
13 storage tanks, which are going to be reduced to  
14 bring it to the process.

15 There is an emergency flare, as you have  
16 CHP. You can see it over here, where we are  
17 transferring the biogas into electricity and heat.

18 There is a control container so there  
19 all the control systems will be inside and also  
20 the distribution back to the process and to  
21 neighbors and industries, whatever district  
22 heating you are connected with.

23 This is a plant layout from a plant in  
24 Germany we built about three years ago. This was  
25 a former composting plant. It was a former

1 composting plant treating 20,000 tons of compost.  
2 Going to AD, they had the chance of basically with  
3 the same footprint to treat now 40, or over 40,000  
4 tons.

5           Because what is AD doing? It's  
6 basically speeding up your front-end process of  
7 composting. So they are now treating double on  
8 about the same footprint as they had before. They  
9 became from a net energy consumer for a composting  
10 process, they became a net energy producer.

11           So this is what the plant looks like.  
12 I'll just point out a few things. You have here  
13 the entrance. The trucks will drive here on a  
14 weight bridge. They will come down here to the  
15 reception area where they basically dump the  
16 waste.

17           The waste is then treated into the  
18 fractions, so all the contaminants like plastics,  
19 you'll always have, even if you have source  
20 separation, you'll always have contaminants. But  
21 our system is quite forgiving about that.

22           The contaminants are removed. Then the  
23 waste is going to intermediate storages, what you  
24 see over here, which are constantly feeding the  
25 fermenter. They here have a double module and a

1 single one.

2 The biogas going to CHP units, powering  
3 the generators and feeding the grid.

4 Before we installed the AD, the AD part  
5 is basically just this small part. So existing  
6 was already the pretreatment, so their old process  
7 was going into the whole separation and then  
8 basically do conventional composting, and the  
9 finished product. So, we've added the AD part,  
10 which is very complementary. So now they have  
11 much more possibilities to acquire all the waste  
12 streams like food waste, industrial waste and so  
13 on.

14 So basically they now go this way,  
15 pretreatment, then do the loop over the  
16 fermentation and go back into the composting.  
17 Here they sell the end product; here you will see  
18 the storage of the liquid which is taken to again  
19 bring it back to the process. If we have  
20 effluent, so liquid fertilizer, it's going to be  
21 picked up by farmers and they will spread it over  
22 agricultural land, which has a high fertilizer  
23 value.

24 Over here this is not belonging to the  
25 composting plant. Here is a recycling center

1 where they recycle all different materials like  
2 metals, aluminum, plastics and that kind of stuff.

3 As I said, the goal is to close natural  
4 loops, so if you have good quality input materials  
5 you will end up with good quality output  
6 materials. So you will have liquid fertilizer  
7 which can substitute artificial fertilizer, which  
8 is again substituting fossil fuels.

9 You have fresh compost which is  
10 basically coming out of the digesters, which can  
11 be spread over land almost immediately. And you  
12 can make a cured compost which can go up to grade  
13 five. So that's really quality. That's what they  
14 are doing in Passau, they're really strong in  
15 composting business because they came from the  
16 composting business, so they're producing both  
17 lands, let's say, directly to agricultural land.  
18 And they're also going into retake.

19 I would like to talk a little bit on  
20 compost. It was mentioned yesterday that with the  
21 different scenarios, so if you take compost  
22 instead of artificial fertilizer, compost will  
23 basically improve your soil quality, which will be  
24 even more important probably in the future because  
25 you will probably have less rain. So the soil

1 quality, if the soil quality's improving it can  
2 hold more water. Because we will probably have  
3 less rainfall this will be an important issue.

4 And you always have exhausted soils; I  
5 saw that when I was visiting the plant in Spain.  
6 They have really exhausted soils. But I don't  
7 know the farms they're just not using compost.  
8 They're still sticking to the artificial  
9 fertilizer.

10 Here we see the Passau plant, so we're  
11 treating about 40,000 tons of waste a year. As I  
12 said, they're producing heat and power with CHP  
13 units.

14 This is the different fermenters. You  
15 can see how the gas yield is. So we are in a  
16 quite good range of biogas yield and biogas  
17 quality.

18 One possibility is also to upgrade the  
19 biogas, to scrub it to natural gas standard, which  
20 is then CNG. So basically biogas is consisting of  
21 about 55 to 65 percent methane, -- 58, so the rest  
22 is basically carbon dioxide and hydrogen sulfate.  
23 So the cleaning process, after that you're having  
24 the same specification as natural gas, which can  
25 also then be called renewable natural gas. So we

1 have to bring up to meet that content to about 97  
2 percent.

3 How does the operating process work?

4 Roughly you feed in the raw gas, which has a high  
5 CH<sub>4</sub> content. You go with pressure of about 160  
6 psi to these adsorbent beds, which allow just the  
7 CH<sub>4</sub> molecules to pass. You will always have a  
8 little bit of other things that pass through, but  
9 basically that you shut off the valves. And you  
10 will clean the beds again. And you will have the  
11 exhaust gases which consists also a little bit  
12 still of CH<sub>4</sub> because it's never possible to  
13 extract everything.

14 These exhaust gases will then go on a  
15 burner because if you release the CH<sub>4</sub> it's counted  
16 according to Kyoto 20, 21 times worse than CO<sub>2</sub>.  
17 So it's brought over a burner to really burn it  
18 off to CO<sub>2</sub>. And the heat you're producing there  
19 can also be taken to the fermenter and to process.

20 I will not bother you with the figures.  
21 The presentation will be on the website, so you  
22 will see how much gas we're producing. This is  
23 just an example from the Passau plant. I took it  
24 as example. They're producing about 500 normed  
25 cubic meters an hour if you operate that to CNG.

1 You will see in all the figures the loss is about  
2 5 percent.

3 Which brings me to the next slide. Not  
4 bothering you with the figures I'll show you how  
5 much energy is inside of let's say compared to  
6 North American standards, quite probably a small  
7 plant, if I look at the potential that's over  
8 here.

9 So if we take that energy, produce CNG,  
10 it will give us about a range of 40 million  
11 kilometers, which is 25 million miles, which is  
12 quite easy. Will give us a journey in a car 1000  
13 times around the earth.

14 There's different applications. If you  
15 have CNG, we're having in Switzerland public  
16 transport. I was very delighted to see here also  
17 the CNG buses, because CNG is quite a good source,  
18 very clean source of energy to power buses. There  
19 is shuttle buses for hotels in Switzerland that  
20 work with CNG. I will talk about Migros which is  
21 the biggest retail trade in Switzerland, and you  
22 certainly know this one.

23 So we're having corporations with  
24 McDonalds and Migros. It works that way, so they  
25 bring all the organic waste they produce in their

1 restaurants, catering services, stores and so on  
2 to us. We digest it, operate to biogas. And feed  
3 the biogas into the natural gas grid. The natural  
4 gas grid takes care of the distribution. So these  
5 companies are able to power their trucks on the  
6 CNG.

7           And just to make an example, Migros is  
8 delivering today about 10,000 tons to us. So we  
9 produce the equivalent of 600,000 liters of  
10 diesel. So they are powering parts of their truck  
11 fleet, which are all waste. This is in CO2;  
12 that's about 2000 tons of CO2 they're substituting  
13 like this.

14           So here are some references, most in  
15 Europe, as the legislation and drivers are set the  
16 right way. So, we see Weissenfels, which started  
17 with one digester, so they operated it for  
18 different years. So they started off in 2003. So  
19 now they are ready for extension because they  
20 acquired much more waste.

21           The plant in Spain that is processing  
22 MSW. Then prestigious one in Kyoto, according to  
23 the Kyoto Protocol. And there is one built also  
24 on MSW in France, which is processing 100,000  
25 tons.

1           This is quite an interesting one because  
2           it's possible with the modular system, they have  
3           for the 100,000 tons of material they will -- they  
4           have four double modules, so they will run three  
5           of the four with the organic fraction of MSW. And  
6           they have already a little waste stream of source-  
7           separated. So they're running one module of  
8           source-separated.

9           So they're producing different  
10          qualities. And nobody knows how the waste streams  
11          are going to change through legislation, whatever.  
12          They will decide probably, and that's a limited  
13          right now to source-separate in Europe. So  
14          they'll be able to react to that and feed more and  
15          more fermenters with clean sources as they come  
16          in.

17          So, conclusions. I'm happy that all the  
18          speakers before came to the same conclusions.  
19          Setting the right incentives for renewable will  
20          force investment into the industry. The 3-R  
21          process we're following in Europe, reduce, reuse,  
22          recycle.

23          Just source separation keeps the most  
24          value to the waste; then it's seen as a resource.  
25          And this is true for everybody. This not just for

1 the organic waste. This is true for every  
2 recycler.

3 It's the goal to complete natural  
4 cycles. And you don't know what future's going to  
5 bring, try to rely on modular systems, which keeps  
6 most flexibility.

7 So this reminds me to sentence I once  
8 read on my travels, I don't know where. But it  
9 keeps sticking in my mind. Which says that we  
10 didn't inherit the land from our grandparents, we  
11 borrow it from our children. That's probably a  
12 little bit how we should act in the future.

13 Thank you.

14 (Applause.)

15 MR. WILLIAMS: Thank you, Peter. That  
16 was very interesting.

17 Okay, to finish out this session we have  
18 Patrick Sullivan from SCS Engineers. Patrick's  
19 had over 17 years of experience in the area of  
20 environmental engineering specializing in landfill  
21 gas issues and air quality permitting and  
22 compliance, all this time with SCS Engineers.

23 Patrick is the Vice President and  
24 primary air quality technical expert for SCS, for  
25 the California offices as well as the national

1 operations. He's the leader for SCS' solid waste  
2 consulting practice in California.

3 He's one of the experts, the company's  
4 leading experts, on landfill gas-to-energy project  
5 development and greenhouse gas issues. He's also  
6 a member of technical experts for permitting  
7 issues for the USEPA landfill methane outreach  
8 program. Patrick.

9 MR. SULLIVAN: Morning, everyone. This  
10 morning I'm going to talk about landfill gas-to-  
11 energy. The focus will be on vehicle fuels,  
12 landfill gas-to-LNG, landfill gas-to-CNG. But  
13 I'll talk briefly about where we're at overall  
14 with relative to landfill gas to recovery.

15 These are the three ways that we deal  
16 with landfill gas in terms of recovering the  
17 energy. The electric power generation is the  
18 number one use. But the fastest growing is  
19 actually what we call the medium Btu projects.

20 And then the focus today will actually  
21 be on the third bullet there, the high Btu gas  
22 production in vehicle fuel.

23 Here are a number of projects that are  
24 currently in existence in the U.S. of the  
25 different types. That equates to about 1200

1 megawatts of online electricity and about 250  
2 million cubic feet per day of gas that's utilized  
3 in either medium or high Btu projects.

4 In the electric power side of the  
5 reciprocating engines are really the workhorse,  
6 though here in California we have seen an  
7 emergence of the small microturbines, basically  
8 because of the cost of retail power here in  
9 California. People wanting to go off the grid and  
10 be able to generate their own power with the  
11 microturbines.

12 But why are we seeing such a growth in  
13 the medium Btu projects, and why are we seeing  
14 some renewed interest in the high Btu projects?  
15 Well, one of the big drivers, of course, is cost  
16 of natural gas and the cost of vehicle fuels,  
17 driving some to look at landfill gas resource in  
18 that way.

19 Also, there's other drivers, as we've  
20 heard today, politics, regulation. Here in  
21 California, of course, we have our diesel  
22 requirements and restrictions on diesel fuel  
23 vehicles. And the designation of diesel as a  
24 carcinogenic air contaminant.

25 So, with a lot of those things coming

1 together, and then, of course, the greenhouse gas  
2 legislation coming on top of it, there seems to be  
3 more of an interest in these uses of landfill gas  
4 beyond power production.

5           What is medium Btu gas? Really, this is  
6 a minimum cleanup of the gas, usually just  
7 dewatering, refrigeration, filtration and then  
8 piping it offsite to an industrial end user. The  
9 primary use is industrial boilers creating process  
10 heat, or building heat. But there's a lot of  
11 other creative uses, greenhouses, furnaces, kilns,  
12 et cetera, that are fired on landfill gas.

13           Why is it the fastest growing? Well,  
14 it's the cheapest relatively speaking on capital,  
15 and probably the simplest project to put together,  
16 assuming you can find that industrial end user.

17           Certainly the best situation is when  
18 that user is very close to the landfill. But we  
19 now have landfill gas pipeline that's as long as  
20 20 miles moving landfill gas from a landfill to an  
21 offsite industrial plant.

22           High Btu. We're either talking about  
23 pipeline quality or vehicle fuel, LNG or CNG. A  
24 variety of processes and use for the treatment of  
25 that gas. And we'll go into that in a little more

1 detail of what you have to do to create these high  
2 Btu gases.

3 And clearly the reason we haven't seen a  
4 lot of these projects is both the capital and the  
5 operating costs are much higher than either power  
6 production or the medium Btu because of the  
7 extensive gas cleanup that's necessary to get it  
8 here.

9 We all know, and here in California we  
10 certainly see it, that LNG and CNG are viable  
11 alternatives to diesel and gasoline. Every time  
12 we see a truck or a bus driving powered on CNG or  
13 LNG we realize that it can be done.

14 One thing to remember, though, that the  
15 primary source of the LNG and CNG in those  
16 vehicles is generated from natural gas. So it's  
17 still dependent on the natural gas market. And  
18 there is the natural gas market over the last  
19 several decades. And as you can see, particularly  
20 in the last five years, we've seen a dramatic  
21 increase on natural gas prices. And, again,  
22 probably a big reason we see a renewed interest in  
23 uses of landfill gas that would displace natural  
24 gas.

25 Clearly there are some benefits to LNG

1 or CNG versus diesel or gasoline, whether it's air  
2 emissions, greenhouse gas reductions, but there  
3 are some clear disadvantages, as well. The  
4 expense and the engines, themselves, the  
5 infrastructure issues relative to the availability  
6 and location of fueling sources make it such that  
7 these fuels are not quite direct competitors to  
8 diesel or gasoline.

9 CNG versus LNG, what are the  
10 differences? The big difference is the density of  
11 LNG. And because of that it is less expensive to  
12 store it or transport it. And the debate of CNG  
13 versus LNG is kind of like the old Miller Lite  
14 debate of tastes great or less filling. There's  
15 people on both sides of the argument that feel one  
16 is better than the other. But clearly LNG has an  
17 advantage on the density issue, but CNG probably  
18 has some advantage relative to the cost of the  
19 engines, themselves, and the cost to product LNG,  
20 because there's an extra step that we'll see here  
21 in a minute.

22 Landfill gas. Landfill gas can be  
23 turned into both LNG or CNG. Primary where we  
24 have seen this happen, the driver has been the  
25 desire to fuel the refuse vehicles or the

1 equipment at the landfill on this. To a lesser  
2 degree on any sort of commercial sale of LNG or  
3 CNG into the clean fuels market.

4 Here's a typical landfill gas. Big  
5 issues here are the methane content; the air  
6 intrusion, the oxygen and nitrogen; and then, of  
7 course, the impurities which are the last three  
8 items, the hydrogen sulfide and the other sulfur  
9 compounds, the organics and siloxanes.

10 This is what we need to turn it into if  
11 we want to, in this case, create CNG. And really  
12 the key is how do we get from that to that.  
13 Removing the impurities, removing the CO2 and, of  
14 course, increasing the methane content.

15 In terms of landfill gas-to-CNG, I mean  
16 the big issue is the removal of the carbon  
17 dioxide. You saw a little example of that from  
18 our previous speaker. the two technologies that  
19 are in use are the membrane separation and the  
20 molecular sieve, which is also known as a PSA, or  
21 pressure swing adsorption.

22 In terms of pipeline quality gas, the  
23 existing landfill gas projects, both technologies  
24 have been used, but to date in terms of operating  
25 projects to date, the membrane separation seems to

1 be what's been used for the very limited number of  
2 landfill gas to vehicle fuel projects.

3 And clearly, and you'll see this both  
4 with LNG and CNG, the amount of air intrusion in  
5 the gas is a big issue, because if there's too  
6 much air that is just yet another element of the  
7 gas treatment that has to be further separated,  
8 adding to that treatment cost.

9 Here's a little bit of a schematic of a  
10 treatment system. Again, we saw it with the  
11 previous speaker, a little bit of how that works.  
12 There is the material that's used in terms of the  
13 filter media, and then there's some schematics of  
14 essentially what's happening on a molecular level  
15 to separate out the methane and the other gases  
16 from the CO<sub>2</sub>, and moving the CO<sub>2</sub> out of the gas  
17 stream.

18 Projects. The one very successful story  
19 we have to tell on landfill gas-to-CNG is the  
20 courtesy of the L.A. County Sanitation Districts.  
21 They do a small sized project, about 250 cfm of  
22 landfill gas, which is converted to about 100 cfm  
23 of CNG. That's about equivalent of about 1000  
24 gallons of gasoline per day.

25 Their process at the Puente Hills

1 Landfill, the San District's; compression and  
2 moisture removal of the gas; they use activated  
3 carbon to remove the organics as well as the  
4 siloxanes. They happen to have pretty low sulfur  
5 content to begin with, so they didn't have to do  
6 extensive sulfur treatment. They use membranes  
7 for the carbon dioxide removal. And then they  
8 compress the gas to the 3600 psi.

9 They have storage facilities onsite and  
10 they dispense at about 3000 psi. Some pictures.  
11 That's the treatment facility at the Puente Hills  
12 Landfill. Here's their fueling station; and  
13 here's a couple of examples of pieces of equipment  
14 that they actually are fueling on CNG. So it's  
15 not only the hauling vehicle, it's actually some  
16 of the landfill equipment that they have  
17 retrofitted.

18 This is a relatively small scale  
19 project, but it is a successful longer term  
20 project. And really, frankly, one of the only  
21 success stories we have to date that has gone into  
22 full, and we would consider, commercial  
23 production.

24 Another CNG project that's currently  
25 actually in startup mode, which is Sonoma County

1 at their Sonoma County central landfill.  
2 Currently the project is just a pilot scale  
3 project with about 100 cfm landfill gas, with a  
4 scale-up proposed to about 860 cfm.

5 The transit district in Sonoma County  
6 has a clean fuel bus fleet, and that's the goal of  
7 this project, is to ultimately fuel that bus  
8 fleet.

9 The process on the pilot scale project  
10 is 100 cfm will create about 40 cfm of CNG.  
11 Membranes again for the CO2 removal; activated  
12 carbon compression and chilling. Production cost,  
13 you can see at the bottom, that's for the pilot  
14 scale project, which is certainly higher than we  
15 would want it to be. And would probably not make  
16 this project economic commercially, but obviously  
17 the hope is the scale up will show much lower  
18 costs in terms of the economies of scale.

19 The scale up really will be the same  
20 process scaled up. And we hope to get the  
21 production cost down to about \$7 per million Btu.

22 So, a few photos of the pilot project  
23 being installed. It was basically fabricated in  
24 the southern California area; put onto  
25 truck/trailer and transported up to northern

1 California. There it is in place. Here's some of  
2 the treatment equipment of the small scale  
3 project. A little bit of a closeup.

4 And as I said, the Sonoma County is in  
5 startup right now. It is producing CNG. However,  
6 the CNG has not yet been used in any of the fleet.  
7 What the plan is to test it in several of their  
8 CNG buses that the transit district has.

9 Let's talk about landfill gas-to-LNG.  
10 Really it's a similar process and similar issues  
11 exist. Is removing the impurities, removing the  
12 CO2. But has the extra step of the liquefaction  
13 of the methane to produce the LNG.

14 There are some projects. Montauk, in  
15 collaboration with Prometheus Energy, has actually  
16 just commenced operation on a project at the  
17 Bowerman landfill in Orange County. That project  
18 is currently sized to take about 850 cfm of  
19 landfill gas and produce about 7000 gallons of  
20 LNG. Ultimately they want to scale it up by about  
21 eight times is the plan. They started up in  
22 January, and going through their startup process  
23 right now.

24 Everybody's waiting with, I guess, bated  
25 breath to see the success of that project.

1       Because we really want to see a successful  
2       landfill gas-to-LNG project. There's been some  
3       stops and starts on projects in southern  
4       California and in the Bay Area that never came to  
5       fruition.

6                   And here in Sacramento the County here  
7       has committed to a landfill gas-to-LNG project, as  
8       well, at the Kiefer landfill. Prometheus will  
9       also be involved with that project. However, just  
10      like everybody else, Sacramento County is also  
11      waiting to see the ultimate, hopefully the  
12      ultimate success of the Bowerman project.

13                   Typical landfill gas-to-LNG project that  
14      one might consider, you know, if you want to  
15      produce about 5000 gallons per day of LNG you  
16      probably need about 900 cfm landfill gas.  
17      Obviously that varies based on methane content.

18                   The process is somewhat power intensive,  
19      so alongside the LNG production is also power  
20      production to create onsite power. Right now we  
21      really do not have a good sense of what the  
22      production cost is for landfill gas-to-LNG. And  
23      that's really one of the biggest things I think  
24      the industry wants to get out of the major project  
25      in Orange County is, what will it ultimately cost

1 to produce LNG from landfill gas.

2 What are the issues with LNG coming from  
3 landfill gas? And frankly, these are no  
4 different, I guess, for the CNG, which is the  
5 fuel. Fuel specification is very intolerant to  
6 nitrogen and oxygen in the gas, or would have to  
7 have additional treatment to remove it.

8 So that's really a grave concern,  
9 because it is very difficult to draw a vacuum on a  
10 landfill to remove the landfill gas without  
11 pulling in some amount of air.

12 And, in fact, the success of landfill  
13 gas collection and control systems as a means of  
14 air emission control sometimes is dependent upon  
15 your ability to extract enough so that you are  
16 ultimately pulling in some atmospheric air that  
17 gives you the best sense that you're pulling as  
18 much as you can. So there is a fine line that has  
19 to be walked between the gas quality and the  
20 ability to produce CNG or LNG.

21 And there are frankly some sites out  
22 there that simply are not going to be able to --  
23 that would not be reasonable feedstocks for an LNG  
24 or CNG project because the gas quality is poor.

25 In conclusion, where are we at with

1 landfill gas as a precursor to vehicle fuel. Our  
2 experience, frankly, is limited. We have a lot  
3 more experience with landfill gas-to-electricity,  
4 or the medium Btu projects.

5 We do have one long term, and it's  
6 successful, but small landfill gas-to-CNG project,  
7 which is the L.A. San District project. We have a  
8 pilot scale project that's now in startup.  
9 There's been one demonstration project on landfill  
10 gas-to-LNG that actually was done by a predecessor  
11 to Prometheus, Cyrol Fuels Systems. And they are  
12 now, of course, in startup on a major commercial  
13 size project in Orange County. And again the  
14 success of that will hopefully tell us a lot.

15 But I think the bottomline is conversion  
16 can be done. We have the technology to do it. It  
17 has been done. And the big question is going to  
18 be what's going to drive us towards doing landfill  
19 gas-to-vehicle fuel.

20 One big driver is the natural gas  
21 prices. And that, in terms of economics, is where  
22 we'll be competitive.

23 Beyond that, what are the other drivers?  
24 Well, certainly politics. We have seen several  
25 CEQA processes for landfill expansions, whereas

1 one of the mitigation measures they were obligated  
2 to put in clean fuel vehicles and consider, you  
3 know, conversion of landfill gas to CNG or LNG.  
4 So there is some push there. Whether the push  
5 comes from legislation or regulation, whether it's  
6 greenhouse gas, whether it's diesel fuel related  
7 issues, that may be the driver.

8 But there's always going to be  
9 competition for the gas. And the competition is  
10 going to be with our other technologies for energy  
11 recovery. We're going to be competing against  
12 electricity generation for that same gas. And  
13 we're going to be competing against the medium Btu  
14 projects, both of which have a lower capital cost  
15 than the landfill gas to vehicle fuel.

16 So that's really going to be the key;  
17 you know, what is going to push landfill gas to  
18 vehicle fuel ahead of some of those other ways to  
19 utilize landfill gas; and where is that push going  
20 to come from. Is it going to come from politics;  
21 is it going to come from legislation regulation;  
22 or is it simply going to come from some market  
23 drivers such as the cost of natural gas.

24 And like the rest of the renewable  
25 energy options that are here, we're always looking

1 for handouts. So subsidies and tax credits are  
2 yet another way to make some of these projects  
3 happen that wouldn't otherwise.

4 Thanks.

5 (Applause.)

6 MR. WILLIAMS: Thank you, Patrick.

7 Well, it's noon and that's scheduled for lunch.  
8 But we did promise to take some questions, so I  
9 hope we have a few minutes -- and Martha says  
10 yes -- we'll take a few minutes of questions for  
11 this panel, as well as the first panel this  
12 morning.

13 So, let's get the microphones out.

14 (Pause.)

15 MR. WILLIAMS: And please give your name  
16 and affiliation, please.

17 DR. NAND: Krisha Nand; I'm an  
18 independent consultant. I have a question for  
19 Nocy. You said the byproduct when you are making  
20 ethanol is liquid. And you could use it in the  
21 power plant. What kind of this byproduct is, and  
22 which kind of power plant you can use it? This  
23 first question.

24 Second question, is if you can tell us  
25 some characteristics of the criteria pollutant and

1 hazardous air pollutant emissions from your pilot  
2 plant which you ran in the City of Orange, because  
3 that's very key, critical thing for -- for a real  
4 power plant, you know, as probably you're aware,  
5 I'm also in the South Coast region, you know, so  
6 you know the problem.

7 MS. SUMAIT: The byproduct -- lignin is  
8 the byproduct. It's the glue that holds the  
9 cellulose and polymers together. And consistent  
10 with doing the simplest business model to deploy  
11 the technology, that lignin will be shipped in  
12 existing biomass power plant for this first  
13 project. We will send it over to Colmac. They  
14 are already committed to, you know, burn solid  
15 fuel. And so we're just going to simplify the  
16 process, which is going to take that lignin and  
17 ship it over to Colmac.

18 In future projects then we will tackle  
19 the possibility to put boilers onsite, and if the  
20 lignin can really produce over 70 percent of the -  
21 - needs of the biorefinery, so that helps to bring  
22 down the cost.

23 With regards to emissions sources, the  
24 emission source will come from the source of the  
25 steam and the electricity for the biorefinery. If

1 we're using natural gas, then that would be a  
2 boiler that would be fired by either landfill gas,  
3 supplemented by natural gas. And so it would go  
4 through the back process, go through the new  
5 source review for the air emissions.

6 To the extent we, for VOCs, vapor  
7 recovery systems will be in place where there are  
8 VOC emissions. Fugitive emissions will be  
9 controlled in either through dust suppression or  
10 enclosures or bag houses.

11 So, in the Sacramento project we did go  
12 through the Sacramento Metropolitan Air Pollution  
13 Control District. Got our authority to construct.  
14 And so we're fully aware.

15 But most of the sources will come from  
16 the combustion source that provides the steam and  
17 the electricity for the biorefinery.

18 MR. WILLIAMS: Thank you. In the  
19 interest of time let's have all the questioners  
20 line up here. The line has already started.  
21 There's two people, and Don is our next question.

22 MR. AUGENSTEIN: Hi. This is for Peter  
23 Knecht. I was curious; you showed digestate or  
24 process digestate being spread on agricultural  
25 fields. And I just wondered what the cut was that

1       you were digesting. Was it the waste that you saw  
2       entering the whole flow scheme, the material  
3       balance scheme where about 15 percent of it was  
4       converted? Or was it MBT, or was it some  
5       selection fraction of the waste that was being  
6       digested there and subsequently, after digestion,  
7       being applied to agricultural fields? I'm just  
8       interested in --

9               MR. KNECHT: Okay, so the digestate and  
10       the liquid fertilizer, you saw the pictures,  
11       that's from clean source input material. So we'll  
12       receive a high quality end product. This is even  
13       certified in Switzerland for organic agriculture.  
14       But this is just possible if you have good input  
15       source. Out of MSW will never achieve that sort  
16       of --

17              MR. AUGENSTEIN: Right, --

18              MR. KNECHT: -- that sort of --

19              MR. AUGENSTEIN: -- right, -- yeah,  
20       that's what I was curious about. Is it the  
21       entirety of the stream that would be diverted from  
22       landfills, or it's a selected cut then.

23              In other words, you have selected that  
24       to be an extremely fraction.

25              MR. KNECHT: No, actually it's source-

1 separated. I mean, --

2 MR. AUGENSTEIN: Okay, so it's pretty --  
3 yeah --

4 MR. KNECHT: Yes, if you start to  
5 source-separate you will always have -- then you  
6 will have very clean source of input material  
7 which means a good quality end product.

8 MR. AUGENSTEIN: Right.

9 MR. KNECHT: Once you start to mix  
10 everything together, you will increase complexity  
11 by factors --

12 MR. AUGENSTEIN: Yes, I understand. So  
13 you don't have the entirely -- the source-  
14 separated waste, then, is a clean fraction of the  
15 organics that you want to divert, in other words.

16 MR. KNECHT: Yes.

17 MR. AUGENSTEIN: Okay.

18 MR. CALDWELL: My name is Jim Caldwell  
19 from E3 Regenesis Solutions. This is a very -- I  
20 don't want to get into a single-factor analysis,  
21 but just to isolate one factor, you talked about  
22 compost. There are two questions for those  
23 dealing with compost. One is input cycle, you  
24 divert to compost, and we've already heard that a  
25 lot of it ends up as alternative daily cover on

1 the landfill anyway.

2 But whether it ends up that way or is  
3 recycled as to fertilizer, when you do composting  
4 through windrowing and so forth, doesn't that put  
5 a lot of methane into the atmosphere?

6 MR. KNECHT: It does put what in the  
7 atmosphere?

8 MR. CALDWELL: Methane.

9 MR. KNECHT: If you compost --

10 MR. CALDWELL: Yes, right.

11 MR. KNECHT: -- basically if into the  
12 process will be perfect, then no. But in windrows  
13 you will always have parts of the windrow which  
14 are not in a perfect, let's say, environment. So  
15 they will go anaerobic. That's basically what's  
16 happening in the landfill, as well, it's going  
17 anaerobic and it's more or less uncontrolled.

18 That's why we put it into a reactor to  
19 have it under control and really push the methane  
20 to release.

21 MR. CALDWELL: Okay, thank you.

22 MR. KNECHT: So that's the difference  
23 between AD controlled and basically.

24 DR. DIAZ: I composted a little bit. I  
25 think that the generally the process, in fact, in

1 Europe, by definition, has to be anaerobic. If  
2 you have an anaerobic process whereby you're  
3 producing methane it shouldn't be called compost,  
4 number one.

5 So, that, in itself, negates what you're  
6 talking about. However, you produce CO2. You  
7 should not produce methane in the decomposition,  
8 by theory, by definition, legal definition. And  
9 we've gotten some little bit of emissions and  
10 odor, of course, ammonia. But no methane.

11 MR. CALDWELL: Yeah, oh, good. Thank  
12 you, thank you. And I just wanted to follow up  
13 with the other end of the composting question.  
14 When you -- after you digest it and then you take  
15 out some of the energy, your fertilizer that goes  
16 back to the fields, is that -- how do you balance  
17 that for the soil and crops that it's going to be  
18 used on?

19 MR. KNECHT: There is testing on the  
20 liquid fertilizers of how much nutrient is inside,  
21 so the farmers, they have to place balance sheets,  
22 so how much they bring out per hectare. So this  
23 is taken in consideration. So they're  
24 substituting artificial fertilizer for that.

25 MR. CALDWELL: Very good, thank you.

1 DR. LARSON: Eric Larson from Princeton  
2 University. I had a question for the first panel,  
3 particularly Kit Strange, and maybe Professor  
4 Diaz.

5 You both mentioned how policy and  
6 regulation drives the MSW utilization in Europe.  
7 I'm interested specifically in what kinds of  
8 incentives there are for the households at the  
9 household level for reducing the generation of the  
10 material to begin with; and then the next step  
11 being with recycling and separating.

12 MR. STRANGE: Thanks. Are you talking  
13 there about organics or across the household waste  
14 spectrum?

15 DR. LARSON: I suppose across the  
16 spectrum.

17 MR. STRANGE: Okay, because I mean it  
18 does vary. One of the most interesting examples  
19 I've seen recently is in Belgium where a region  
20 has introduced the idea of household chickens; and  
21 even in reasonably large cities they've encouraged  
22 homes to have two or three chickens which have  
23 been provided pretty well free of charge. Because  
24 chickens eat most of the kitchen waste that's  
25 being left over. And they produce eggs. And then

1       you can eat them at the end.

2                       (Laughter.)

3               MR. STRANGE:  And that's actually been  
4       very successful.  And I can supply more  
5       information on that, including photographs of  
6       chickens.

7                       But another useful innovation in a  
8       number of countries where the regional or local  
9       authorities have acted to help encourage  
10      householders on prevention has been to empower  
11      them, you know, the junk mail that the postman  
12      brings, and they just drop everything through the  
13      letterbox.  The local authorities have produced  
14      stickers you can put on your door, which in many  
15      parts of the world that happens.

16                      But they've gone the extra mile and  
17      they've passed legislation which has made it an  
18      offense for a junk mailer to put anything through  
19      the letterbox which carries such a sticker and has  
20      a penalty of a fine.

21                      And certainly in a city the size of  
22      Brussels, which isn't that large a city, they've  
23      saved several tens of thousands of newspapers.  
24      And they've been able to measure the impact on the  
25      waste flows of material, which hasn't been

1 printed, distributed and stuffed through  
2 households.

3 But there are lots of examples,  
4 particularly the idea of just empowering people  
5 through information. So Vienna runs a very good  
6 observatory website which tells the householders  
7 in Austria what are the environmental consequences  
8 of their purchases, different types of packaging  
9 material. Maybe if you buy a concentrated laundry  
10 chemical in the rather bigger boxes, get the  
11 concentrate, you can save so much energy on  
12 transport and on packaging waste disposal.

13 And the idea is that householders will  
14 come and they'll wish to make an informed  
15 decision.

16 DR. LARSON: But there aren't policies  
17 that require payment by weight, for example, of  
18 material that the households --

19 DR. DIAZ: It's gaining a lot of  
20 interest in Europe. And a few cities are putting  
21 it into place. But it's just a beginning.

22 MR. KNECHT: May I make a comment to  
23 this. The big -- wave in Switzerland is when we  
24 introduced that you pay per bag, so the more ways  
25 you produce the more you're going to pay. And

1 recycling is basically for free. So there is  
2 recycling centers where you can bring your  
3 recyclables, so now you have the choice. You put  
4 it in black bag you pay, and it's quite much. Or  
5 you recycle for free; that had the biggest impact  
6 on our waste streams.

7 MR. STRANGE: Even is going a little bit  
8 further, just one addition to that. In some  
9 places now they're starting to say, well, maybe  
10 the householder should even pay for recycling.  
11 But pay much less than for disposal. So it really  
12 does internalize all the costs.

13 MR. SUBIN: Hi, my name is Zack Subin;  
14 I'm a grad student at Berkeley. And my question  
15 is for BlueFire Ethanol.

16 Traditionally the decomposition from  
17 cellulose into sugars has been the hardest step  
18 and sort of the reason why we haven't seen  
19 cellulosic ethanol commercial yet. So I was  
20 wondering if you could talk more about your acid  
21 hydrolysis process, and what you've done that  
22 makes this more viable now.

23 MS. SUMAIT: I did talk about the pilot  
24 demonstration both what we did in California as  
25 well as what the Izumi facility did in Japan as a

1 third-party validation.

2 The process has been validated not only  
3 there, but it's been a proven process that's been  
4 there since the 1900s.

5 In our website, if you want to view the  
6 process based on the equipment that is there at  
7 Izumi, I welcome you to do that. It is  
8 [www.bluefireethanol.com](http://www.bluefireethanol.com). We've loaded it with the  
9 video of the Izumi facility and we go through the  
10 process with the equipment there, so you can see  
11 it working.

12 In addition, we try to load our website  
13 with as much information about our technology.  
14 And I'd be glad to introduce you to John Cousins,  
15 who if you ask him a question you'll get a five-  
16 page report.

17 So, you know, we'll spend the time if  
18 you want more information about it. But in the  
19 interest of time, I think I would refer you to the  
20 website.

21 MR. WILLIAMS: Okay, last question  
22 before lunch.

23 MR. MACLAY: This is Dick Maclay with  
24 Advanced Energy Strategies. Question for Peter.

25 I believe you said that you were running

1 MSW 100,000 tons per year in Montpelier. And I'm  
2 gathering from your reply to the previous question  
3 that that's not black bag MSW, that's source-  
4 separated?

5 MR. KNECHT: No, Montpelier will be the  
6 same as in Spain; it will be black bag MSW. So  
7 the good news on that side is yes, you can extract  
8 the energy. The bad news is the compost will be  
9 not of good quality. So it will go into  
10 landfill.

11 MR. MACLAY: Okay, that's what I was  
12 wondering.

13 MR. KNECHT: We would not even talk  
14 about the compost when we see the end product.

15 MR. MACLAY: Okay.

16 MS. GILDART: Okay, just one or two  
17 announcements before lunch.

18 One is I've had a cellphone turned in to  
19 me. If someone has missed their cellphone, please  
20 come and describe it.

21 We will have lunch in the same room, the  
22 Sierra Room. We are starting a little late, but I  
23 think there'll be enough time that we can come  
24 back to this room at 1:30 as scheduled.

25 So, please enjoy your lunch and be back

1 here at 1:30. It's going to be very important to  
2 hear the description of how the breakout sessions  
3 are going. So, 1:30.

4 (Whereupon, at 12:16 p.m., the forum was  
5 adjourned, to reconvene at 1:30 p.m.,  
6 this same day.)

7 --o0o--

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

## 1 AFTERNOON SESSION

2 1:37 p.m.

3 DR. JENKINS: We're going to start with  
4 the breakout sessions here, but before we do a  
5 couple of items.

6 First of all you should have received in  
7 your package that you got at registration -- and  
8 if you didn't get one I'm not sure we have any  
9 extras floating around, but we'll try to find  
10 them -- a survey form. We would like your opinion  
11 on the quality of the forum, both yesterday and  
12 today.

13 And so if you would please make sure to  
14 fill that form out. There's a box on the back  
15 table there. Please drop it in there. If we  
16 could get everybody's form today that'd be great.  
17 If you find that you don't have time to fill it  
18 out or something, and can mail it to us, you can  
19 just mail it to us at the Collaborative, care of  
20 the Department of Bio and Ag Engineering, UC  
21 Davis. That'd be great. But we'd like to get as  
22 many as we could today, so please get the survey  
23 form in. Thanks.

24 And then there's been some question  
25 about whether you might be able to drive

1 independently on the tours tomorrow. The bus is  
2 full; we're a little bit over-subscribed for the  
3 bus, but we have some way to accommodate that. So  
4 if you are registered, we'll make sure that you  
5 get on the tours.

6 If you want to drive independently what  
7 we'd like you to do is to come to the first stop,  
8 which will be the UC Davis Anaerobic Phase Solid  
9 Pilot Digester System, Biogas System, which is  
10 located at the wastewater treatment plant on the  
11 campus.

12 And to get there you can, from  
13 Sacramento, you just head west on highway 80. You  
14 can take the UC Davis exit. And then head south on  
15 Old Davis Road. Don't go into the main campus,  
16 which is on the north side of the freeway, but go  
17 to the south on Old Davis Road.

18 Cross the railroad tracks about a half a  
19 mile down, and make a left turn into the  
20 wastewater treatment plant. And on the north side  
21 of that plant you'll see there's some big  
22 stainless steel tanks and it'll be quite obvious  
23 where the pilot plant is.

24 You can park in there. I would  
25 encourage you to find ways to carpool. So if you

1 can do that ahead of time that'd be great. If you  
2 want to meet at the wastewater treatment plant and  
3 carpool from there, that'd be fine, too.

4 We'll have more directions for you at  
5 the first stop tomorrow at the wastewater  
6 treatment plant for the rest of the tour. But if  
7 you'd like to do that, please feel free. But do  
8 try to carpool. We're probably a bit limited on  
9 parking in some of the places we're going to go.  
10 So if we have 50 vehicles show up, that might be a  
11 bit of a concern for some of the facilities we're  
12 going to visit.

13 But I hope you can come on the tours.  
14 We're certainly happy to have you come. And so if  
15 there are any questions check with me or with Rob  
16 Williams. Rob has been -- Rob and Pete have been  
17 responsible for setting most of it up.

18 Oh, yeah, I'm reminded about lunch.  
19 Sorry, you're out of lunch if you drive  
20 independently and have not preregistered. So, if  
21 you've registered and you want to drive  
22 independently, that's fine, you'll get your lunch.  
23 But if you're not registered, unfortunately we  
24 have not been able to reserve enough lunches for  
25 beyond what was registered. We might try to go

1 out and get some sandwiches or something if things  
2 get desperate.

3 But, in general, if you want to drive  
4 yourself, I hope that doesn't stop you from coming  
5 on the tours, but somehow -- but we just don't  
6 have lunches associated with those who have not  
7 been able to register so far.

8 And I apologize for the constraints on  
9 the tours. If you tried to register and you  
10 really want to come on the tour and you weren't  
11 able to because we were full, I apologize for  
12 that. But we've been a bit constrained in  
13 transportation.

14 So, anyway, again, if there are any  
15 questions about the tours track me down at the end  
16 of today and I'll be happy to fill you in on some  
17 more details with that. Also if you see Robert  
18 around he can fill you in on that, as well. And  
19 thanks to Rob and Pete for getting those tours  
20 organized.

21 All right, we're going to begin the  
22 afternoon session here, which as I mentioned, is  
23 very important for you to provide input to us.  
24 And the person who's going to tell you about your  
25 responsibilities today, and how to do this

1 exercise is Dr. Howard Levenson with the  
2 Integrated Waste Management Board.

3 And Howard is currently a Deputy  
4 Director of the Permitting and Enforcement  
5 Division at the Board. And he plays a  
6 coordinating role in the Board's bioenergy and  
7 biofuels work. He served as an Advisor to our  
8 Board Member Relis from 1991 to 1998. Then he was  
9 Supervisor of the Board's organic materials  
10 management section until May of 2003.

11 Prior to coming to the Board he worked  
12 as a Senior Associate in the environment program  
13 of the Office of Technology Assessment. Many of  
14 you probably know that. It's a supporting agency  
15 for the U.S., . Congress, or was, anyway.

16 While there he worked on a range of  
17 environmental issues including marine pollution,  
18 groundwater pollution, climate change, municipal  
19 and industrial solid waste management. So he  
20 comes very well informed and with a lot of  
21 expertise to this position.

22 He was primary author of the Office of  
23 Technology Assessments' 1989 assessment on facing  
24 America's Trash, What Next for Municipal Solid  
25 Waste. And with that, I'll let Howard tell us

1 what we're going to do here. Thanks, Howard.

2 DR. LEVENSON: Thanks, Bryan, and  
3 welcome back, everybody. God, 1989, long time  
4 ago; that's when the Mobrowe garbage barge was  
5 floating around and people were looking at what to  
6 do with the solid waste.

7 So, we've come a long ways since then.  
8 And, you know, today's forum I think is kind of a  
9 great opportunity for us to take even another step  
10 forward.

11 What I'd like to do this afternoon is  
12 make a few opening remarks, kind of set the stage  
13 for why the Integrated Waste Management Board has  
14 been interested in this; what we intend to do with  
15 the results from this forum. And then give you  
16 some sort of marching orders on the breakout  
17 sessions and what we hope to achieve from that.

18 I'm not going to talk for too long. I  
19 know it's right after lunch. You know, it's great  
20 that everybody has come back. We've got over 100  
21 people coming back for the last session. You've  
22 sat through a day and a half of what I think are  
23 some very excellent presentations, a lot of  
24 information that's been put out.

25 This is going to be your chance to tell

1 all of us, the Waste Board and our various  
2 colleagues, what you think needs to be done to  
3 further this whole effort in terms of biomass to  
4 biofuels, or biorenewable energy.

5           The Waste Board has multiple interests  
6 in having a day like this devoted to this topic of  
7 biofuels and solid waste. And as our Chair, Margo  
8 Reid Brown, indicated this morning, we're an  
9 active participant in the interagency bioenergy  
10 working group. We also have formally adopted  
11 strategic directives that encourage biofuels and  
12 bioenergy production.

13           So this forum is just part and parcel of  
14 that process of trying to gather more information  
15 relative to those topics; and try to get some  
16 analysis back to our Board in terms of what are  
17 feasible solutions. Whether they be research  
18 solutions, legislative, regulatory solutions or  
19 funding.

20           The Board has done a lot of work over  
21 the years on this kind of broad topic. Starting  
22 back as far as 2001 when Mr. Fernando Berton and I  
23 put on the Board's conversion technology forum.  
24 And I see some people here who were at that forum,  
25 and some of the issues that I know you're going to

1 slam us on today in terms of regulations and  
2 legislation were on the table at that forum. But,  
3 you know, maybe things are starting to change and  
4 there's some chances to resolve some of those  
5 issues.

6 At that forum we were crazy enough to  
7 have, I think, 12 or 15 simultaneous breakout  
8 sessions, each one with a laptop, compiling notes.  
9 And then we provided all that information back to  
10 the audience before you left that day. We're not  
11 going to be that ambitious today. We're going to  
12 keep it a little looser, a little more informal.  
13 But we really are trying to get your input on  
14 where to go next.

15 But, as I said, the Waste Board has done  
16 quite a bit. We've had the conversion technology  
17 forum. We had, as a result of some legislation a  
18 few years ago, we did a lifecycle analysis of  
19 conversion technologies that resulted in a report  
20 to the Legislature.

21 Over the last couple years we've funded  
22 some research at UC Davis, several different  
23 projects including the phase solid anaerobic  
24 digester; some of the research that you're going  
25 to hear about tomorrow on the tour.

1           We've also worked with UC Davis on  
2           looking at the feasibility of taking landfill gas  
3           to hydrogen. We heard about LNG and CNG today.  
4           We've also been trying to get a handle on how  
5           feasible is hydrogen from landfill gas. That's  
6           further off, but we want to know what all our  
7           options are in that area.

8           We've just funded in the last year, the  
9           contract was just signed, another project at the  
10          Yolo County landfill, which is near the University  
11          of California at Davis, which will be looking at  
12          anaerobic digestion of source-separate green  
13          material in a landfill cell. But it will not be  
14          disposable, we'll just be using the landfill cell  
15          as a kind of vessel, if you will, for anaerobic  
16          digestion.

17          And we have an RFP out on the streets.  
18          I think it's actually closed now, but for a  
19          landfill gas-to-LNG demonstration project.

20          So those are things that the Board has  
21          been able to fund over the last few years. Those  
22          are typically one-time fund availability projects.  
23          When we have some discretionary dollars that we're  
24          able to squeeze out of our budget we can get some  
25          of these projects going, we try to. But there's

1 no systematic funding for biofuels research in  
2 general, or for demonstration projects or pilot  
3 projects. So that may be something you want to  
4 discuss.

5 It's certainly clear that we need to do  
6 a lot more. I think various folks have mentioned  
7 today that out of this 27 million tons of  
8 biodegradable material going into landfills, out  
9 of that 42, 43 million tons a year, that's got a  
10 huge potential for electricity generation, 1750  
11 megawatts. You know, 50 million barrels of oil  
12 equivalent. Certainly a lot of potential for  
13 development into biofuels.

14 But we, as a state agency, interested in  
15 promoting that, need to have a lot better  
16 information base about the status of different  
17 technologies, the kinds of technologies you've  
18 heard about today, and the projects that can use  
19 solid waste-to-biofuels.

20 So that was really the impetus behind  
21 the Waste Board co-sponsoring this day at the  
22 Collaborative Forum. And we feel very fortunate  
23 to be able to piggyback onto the annual  
24 Collaborative, you know, conference that's held.  
25 This is the fourth one. And to try and get some

1 input on this issue from you folks who are much  
2 more intimately knowledgeable about these  
3 technologies and some of the barriers that you've  
4 come up across.

5 And before I go on, I do want to thank  
6 Bryan Jenkins and Martha Gildart and Rob Williams  
7 for all the work that they've done in putting this  
8 together. I think they deserve a round of  
9 applause. They've worked hard and long on this.

10 (Applause.)

11 DR. LEVENSON: And then I also want to  
12 thank my colleague, Fernando Berton, and Alan  
13 Glabe, wherever he is, for working with the  
14 Collaborative to put this together.

15 And then for last night's reception, to  
16 thank Waste Management and BlueFire and RealEnergy  
17 and PG&E. I think a lot of folks had a chance to  
18 talk and exchange information and ideas last  
19 night. And so that was really well worth it, and  
20 I want to thank those sponsors.

21 So, so far yesterday and today we've  
22 heard a lot of good information, exciting projects  
23 in the pipeline being developed. We've heard  
24 what's happening in Europe; we've heard a few  
25 projects that are happening in California, or

1 about to happen.

2 And we want to go a step further now,  
3 and get your input on areas where two things,  
4 really: One is where is additional research  
5 needed on biogas or biogasoline, or any of the  
6 other fuels that we might be interested in.

7 And then, so as a research feedback we  
8 want it from you. And then feedback on what are  
9 pathways, barriers and pathways to  
10 commercialization. We want your input on where  
11 you see opportunities or barriers. And then  
12 solutions to those identified issues.

13 Because we know, the reason we've kind  
14 of split it up like that, we know that any given  
15 project can take years and years to come to  
16 fruition. Some projects need or processes need  
17 more basic research. And we heard from Dr. Yang  
18 this morning about enzymatic hydrolysis and kind  
19 of the status of some of the research that's going  
20 on in there.

21 We know that other projects may be ready  
22 for commercialization but they're not able to get  
23 the financing for the first plant. And we heard  
24 from BlueFire this morning about that. They got  
25 the DOE grant and they're able to get now,

1        hopefully going on a first plant that will make it  
2        easier to finance, you know, second and third  
3        plants.

4                    And so I think we're all familiar with  
5        those kinds of issues, but to hear it firsthand  
6        from some of the folks who are directly involved  
7        is great information for us. It's one thing for  
8        me to go to my Board and say, I think that  
9        financing's an issue. But when we hear it from  
10       the folks who are involved, that counts a lot  
11       more.

12                   So, we've designed the breakout sessions  
13       to get your input on research needs and pathways  
14       to commercialization. And what we're going to do  
15       is have two sequential sessions, about 50 minutes  
16       to an hour each, with a break in between.

17                   The first session will be on pathways to  
18       commercialization. And we're going to ask you to  
19       break up into three groups.

20                   And then the second one will be on  
21       research needs.

22                   Ultimately what, before I tell you kind  
23       of a little few more marching orders, what we will  
24       do, as Waste Board Staff, is work with the  
25       Collaborative to try and synthesize some of the

1 key technical findings and information that's been  
2 presented so far at the conference. And then to  
3 synthesize the results of these breakout sessions  
4 in terms of research and commercialization needs.

5 And then put that together in what will  
6 be a public agenda item that is taken to probably  
7 our policy committee, and maybe ultimately to our  
8 full Board in a couple of months. I don't have a  
9 specific date. It will depend on when, you know,  
10 we can get that work done.

11 But that will be an open public item.  
12 All the Board meetings and committee meetings are  
13 webcast if you just want to listen in. The  
14 information's always posted well beforehand, and  
15 you can provide additional comments in writing or  
16 via email or in personal testimony when the Board  
17 does hear this.

18 So, what we hope to be able to do is get  
19 the Board's direction on where we should go next.  
20 Should we be pursuing legislative, specific  
21 legislative proposals. Are there regulatory  
22 changes that are needed. Are there funding  
23 opportunities for research that can be prioritized  
24 so that when the Board does have contract dollars  
25 we can kind of identify those and say, okay, this

1 one makes sense to go provide some funding for.  
2 Or at least to have a competitive process for  
3 providing funding.

4 Are there policy incentives or subsidies  
5 that the Board should be considering in terms of  
6 its interactions with the Legislature. You heard  
7 this morning from Luis Diaz on the EU; all the  
8 directives that are driving things in Europe.  
9 That there's subsidies on anaerobic digestion. He  
10 also talked about R&D needs for optimization of  
11 bioreactor processes.

12 You heard from Kit Strange, again on the  
13 same kinds of things, the drivers in Europe; also  
14 he mentioned the cost of end-of-life management  
15 and the idea of moving those costs upstream to be  
16 placed more on the producers as opposed to the  
17 consumers and taxpayers.

18 Necy Sumait from BlueFire talked about  
19 the financing issues, the difficulty of getting  
20 financing for that first commercial plant. She  
21 also mentioned the issue of diversion credit, and  
22 whether, and for those of you who are familiar  
23 with the world of AB-939 whether a facility that  
24 takes in solid waste will get credit for diversion  
25 from the landfill or not.

1           Bin Yang talked about research on  
2     pretreatment. We had Peter also talked about the  
3     European mandates. And Pat Sullivan talked about  
4     like the politics of CEQA and whether mitigation  
5     measures might be warranted. And he also talked  
6     about subsidies and tax credits. And then Chuck  
7     White talked about landfills as a CO2 sink and  
8     other issues associated with landfills.

9           So there are a lot of, I think,  
10    different issues that were brought out in the  
11    various talks that are related to research;  
12    they're related to policy; they're related to  
13    barriers. And that's the kind of stuff that we  
14    want you to think about in these sessions and give  
15    us your feed back on.

16           So, what we will ask you to do is in  
17    each hour, the first hour will be on pathways to  
18    commercialization, is to spend about 20 to 25  
19    minutes with kind of an open discussion. You'll  
20    have a moderator and a notetaker. Try to have an  
21    open discussion about what the primary path  
22    barriers or opportunities are for  
23    commercialization for that particular fuel area.

24           And then we'll have the moderator try to  
25    sum up what they've heard; post them on flip

1 charts. And validate with you, here are the three  
2 or four things that I heard that were most, seemed  
3 to be most important.

4 And, you know, if we have a chance we  
5 can do a straw poll within each of the groups, as  
6 to, you know, here's the number one issue; here's  
7 the number two issue. So we have some sense from  
8 you of priorities for moving forward.

9 And then in that session we'll go on,  
10 the commercialization session, and identify  
11 solutions. We'll do the same thing, kind of open  
12 discussion for whoever's in the room in that  
13 particular breakout. Take notes. Then try and  
14 summarize at the end which are the three, four,  
15 five most important things that can be done to  
16 solve those issues.

17 So that we go back to the Board or to  
18 the Legislature, we can speak at least somewhat  
19 systematically or represent a broader spectrum of  
20 stakeholders, say here's what these folks  
21 identified as being most important.

22 So we want you to talk about siting  
23 issues, financing issues, regulatory issues,  
24 research needs. We want you to talk about should  
25 there be limits on the types of landfill,

1 materials being landfilled. Should there be some  
2 changes in regulatory framework for permitting or  
3 streamlined approach. How do you balance that  
4 with health and safety issues that are associated  
5 with permitting.

6 Should there be incentives for research  
7 and demonstration. What should those be and how  
8 would you fund them. Should there be grants.  
9 Should there be subsidies. You know, those kinds  
10 of questions.

11 So we're open to hearing any and all  
12 ideas. We're going to take notes on, we're not  
13 going to lose anything. We'll try to in some way  
14 summarize those and have those available to  
15 everybody, certainly as part of our agenda item  
16 back to our Board. But also probably -- I don't  
17 want to speak totally for you guys -- but we'll  
18 probably be posting some information back on the  
19 website for the Collaborative in terms of what we  
20 found. But we won't tell you exactly how we're  
21 going to do that or when we're going to do that.  
22 No timeframe.

23 So, that's really all I want to do today  
24 is provide that kind of context and guidance.  
25 What we're going to do is split you up into three

1 groups. And then when you're in the group the  
2 moderator will ask you to pick -- for a volunteer.  
3 Otherwise, they'll just pick somebody, to be a  
4 spokesperson for that group.

5 So, when we come back around a quarter  
6 to five, that spokesperson will be able to report  
7 out to the whole group that for biogas, you know,  
8 our top three research issues were A, B, C. And  
9 our top three commercialization issues were A, B,  
10 C. And here's the three solutions we came up  
11 with. Whatever you guys come up with.

12 And then we can have a little bit of an  
13 open discussion, depending on how much time is  
14 left at that last when we all reconvene.

15 So, before I break you up into groups  
16 I'll ask if there's any questions about the intent  
17 here or any confusion about what we're trying to  
18 get. We really want your input.

19 Everybody's napping from lunch, so start  
20 waking up. We're going to make you move as to get  
21 into the rooms. And, again, what we'll do is  
22 we'll go for about 50 minutes on pathways to  
23 commercialization. We'll take about a ten-minute  
24 break and then you'll go back into the same room  
25 and we'll follow up with discussion about research

1 needs.

2 Whenever we finish, I'll be kind of  
3 wandering around and trying to monitor, if we  
4 finish a little early, we'll take another break.  
5 We'll kind of try and make it synchronous that we  
6 take the break.

7 Everybody will reconvene in here and  
8 then we will have the presentations by the  
9 spokespersons for each group, to run down what  
10 they found. We'll see where there's commonalities  
11 and where there's some differences of opinions, or  
12 at least different ideas.

13 And that'll probably be about it. Bryan  
14 will wrap up and, you know, we'll start processing  
15 all this. Sir, you had a question?

16 AUDIENCE SPEAKER: If you're dividing it  
17 by products, biogas includes syngas.

18 MR. WILLIAMS: No.

19 DR. LEVENSON: Biogas will be in the  
20 anaerobic digestion. And then we'll have the  
21 alcohols will be one group. And then biogasoline  
22 and renewable diesel would be the third group.

23 Sir?

24 AUDIENCE SPEAKER: So where is the  
25 syngas (inaudible)--

1                   MR. WILLIAMS: Well, if syngas is going  
2 to be --

3                   (Laughter.)

4                   MR. WILLIAMS: Sorry. The intent was  
5 that syngas is not really going to be a vehicle  
6 fuel, I believe. So what fuel would syngas be  
7 made into, one of those three fuels.

8                   DR. JENKINS: Let me --

9                   MR. WILLIAMS: Would it be biogas?

10                  DR. JENKINS: Let me comment. I think  
11 for the syngas why don't we simply arbitrarily  
12 assign it because it can be associated with  
13 biogasolines and renewable diesels. Syngas will  
14 meet in that session.

15                  Also, if you're a thermochemical  
16 hydrogen, please meet in that session. If you are  
17 biological hydrogen meet in the biogas group.  
18 Does that make sense?

19                  DR. LEVENSON: Okay, we have two large  
20 rooms and one small room. So what I would like to  
21 do is get a show of hands for each of the three  
22 groups so we can know which group's going to end  
23 up in the small crowded room.

24                  So, Luis says the alcoholics go to the  
25 treatment room. No, that's not what you said.

1 (Laughter.)

2 DR. LEVENSON: Okay, let's try  
3 biogasoline and renewable diesel. Okay, that's a  
4 lot, that's a pretty big group.

5 Okay, what about biogas? Okay. And  
6 alcohols? Okay. I think we got a break there.

7 Okay, now who's the alcohol moderator?  
8 Fernando, okay. The alcohol group is going to go  
9 with Fernando into the small room, room 240, which  
10 is just around the corner here. So, if you all  
11 could go ahead and we'll just kind of do this in  
12 an orderly fashion.

13 (Whereupon, at 2:00 p.m., adjournment to  
14 the breakout sessions.)

15 --o0o--

16

17

18

19

20

21

22

23

24

25

## 1 P R O C E E D I N G S

2 4:26 p.m.

3 DR. LEVENSON: Please be seated so that  
4 we can get on with our last part of the day.

5 Okay, what we'd like to do now, first of  
6 all, thank you, all, again for sticking around to  
7 the very end, and for participating in the  
8 breakout sessions. I was floating around to all  
9 three and there was a lot of stimulating  
10 discussion.

11 Some people were saying, well, we've  
12 heard this before. Yes, we have heard some of  
13 this before, but those very things have not been  
14 solved. So, it's appropriate to keep bringing  
15 them up and keep trying to work on them in one way  
16 or another.

17 So what we would like to do now is have  
18 a report out from each group. And I'd like the  
19 spokesperson for each group to go ahead and try  
20 and summarize in five minutes, maybe a few more  
21 minutes than that, what your key points were in  
22 terms of pathways to commercialization, and then  
23 research. And then we'll go on to the next group  
24 and hear them.

25 And then we can have a little bit of

1 open dialogue in terms of was anything missed; is  
2 there some clarifications that somebody wants to  
3 seek. Have a little bit of discussion. But we're  
4 going to try and wrap up.

5 I will, after those three presentations  
6 and a little bit of discussion, I'll come back and  
7 just wrap up in terms of what we're going to do  
8 next. And then Bryan will call it a day with some  
9 instructions probably for the tours tomorrow or  
10 whatever you need to do.

11 So, we have Ruth, Mike and Tim are the  
12 spokespersons. Anybody want to volunteer to go  
13 first? Ruth is going to go first. Yeah, if you  
14 can come up here, Ruth, and if we need to hold --

15 MS. MACDOUGALL: Shall we do that here  
16 or there?

17 DR. LEVENSON: Whichever you're  
18 comfortable.

19 MS. MACDOUGALL: Somebody time me.

20 DR. LEVENSON: I will say this, although  
21 we don't have an exact timeframe, what we're going  
22 to have is the moderators will go ahead and  
23 they're going to type up their notes, the flip  
24 chart notes, so that they make some sense.

25 And then we will send those over to the

1 Collaborative; they'll compile them all into one  
2 file that will become part of the report that  
3 they're putting out as a result of this forum.

4 So, Bryan, I don't know if you have a  
5 timeframe that you might want to talk about later  
6 on, but certainly that material will be publicly  
7 available at some point. And certainly in terms  
8 of any presentations to our committee.

9 Yes, John.

10 AUDIENCE SPEAKER: Can I ask that the  
11 presentations be put on the website --

12 DR. LEVENSON: You certainly can ask.

13 (Laughter.)

14 DR. JENKINS: Martha's going to overrule  
15 me here, but go ahead.

16 MS. GILDART: We do plan to get them up  
17 as quickly as we can, but one of the requirements  
18 that we are working under is that we get signed  
19 releases from all of the presenters for those  
20 materials to be put on the web. And so far I'm  
21 only about two-thirds of the way through getting  
22 those forms. There may be a little delay on a  
23 couple of the presentations.

24 DR. JENKINS: But we can post those that  
25 we have.

1 MS. GILDART: Yeah, --

2 DR. JENKINS: So we'll post the ones  
3 that we have signed forms for probably within a  
4 week, probably before that actually. So look for  
5 that on the Collaborative website.

6 MS. MACDOUGALL: So, our topic was  
7 biogas; and we first established that that's  
8 biogas from landfills, anaerobic digesters and  
9 manure digesters.

10 So we found four barriers. And the  
11 first one was permitting. And that includes air  
12 permits, water permits and solid waste permits.  
13 So that's definitely everybody had consensus on  
14 that one, there's problems there.

15 The next was the cost gap between  
16 anaerobic digestion and business-as-usual. So in  
17 other words, either on TIP fees have to be higher,  
18 or the electricity -- there's a cost gap with  
19 electricity rates, as well, what is paid for it.

20 The third barrier is the multiple  
21 feedstocks that we're dealing with. And I think I  
22 might also add, you know, the complexity of the  
23 feedstocks.

24 And the fourth was the way that  
25 diversion credits are applied. It's not

1 consistent. They're not currently applied to  
2 conversion technologies. Anaerobic digestion,  
3 it's confusing right now whether they would apply  
4 to that. And then also there's the issue of ADC  
5 getting diversion credits even when they're going  
6 back to landfills. So there's issues with that.

7 And we came up with several solutions,  
8 and I'll do these in order, as well. Permitting,  
9 there's a few solutions on permitting. One is  
10 that we need to resolve some of the permitting  
11 ambiguity that exists.

12 And, for instance, one suggestion was  
13 there's a task -- that a task force be developed  
14 for one-stop permitting. It's encouraged that the  
15 board of directors, I mean the Waste Board, and  
16 then the Waste Board Staff and the LEAs all get on  
17 the same page as far as permitting.

18 The idea that we could bring multiple  
19 projects through, as kind of a pilot project  
20 through the permitting process, both public  
21 projects and private projects. And in order to  
22 develop and demonstrate the permitting pathway.  
23 We think that that would help us all.

24 Also, on permitting, we should look at  
25 the net benefits of projects. For instance, the

1 way the greenhouse gas reduction against the NOx  
2 emissions, for instance, on combusting a landfill  
3 gas or biogas.

4 And secondly, the cost, to solve the  
5 cost issue. One is to provide incentives on the  
6 products of anaerobic digestion or biogas  
7 products, either the electricity, the use of the  
8 biogas, or the compost that comes out of  
9 digesters. And that might help bridge that gap.

10 For the multiple feedstocks, we could  
11 adopt the European Union has a spec on animal  
12 byproducts, on food waste. I think they call it  
13 biowaste. And we could just outright adopt that.  
14 That was a suggestion.

15 And let's see, the last thing, oh,  
16 diversion credits. There was a suggestion to  
17 phase out organics from landfills. Do it, again,  
18 as the European Union has done.

19 The next session was on research needs.  
20 And again we have pretty clear consensus on what  
21 those needs are. One of them is to research or  
22 establish the salt loading limits and nutrient  
23 loading limits for digestate or for liquid, you  
24 know, land application.

25 And to understand the characteristics of

1 the digestate as far as pathogens and chemical  
2 constituents.

3 And second is to solve the emission  
4 problem from combustion. We need to develop low  
5 NOx technology, emission technology; and  
6 especially work on gas cleanup which might make  
7 that easier or do away with that problem. Gas  
8 cleanup technologies.

9 And third is there's a lot of research  
10 that's been done on the various feedstocks,  
11 constituents, biogas potential, et cetera; and to  
12 get that research together and develop a database  
13 of what's understood about it, and maybe perhaps  
14 further that.

15 And fourth is to -- we need  
16 demonstration projects. So we need to be able to  
17 kick the tires on projects.

18 And I hope I'm collecting everybody's  
19 comments accurately.

20 So, the fourth thing is okay, how do we  
21 pay -- we have a lot of research needs. Actually  
22 there's a huge long list of research needs. But,  
23 so how do we pay for this.

24 And there's a lot of suggestions on  
25 this. One is a carbon tax; you know, use that to

1 fund research. Another is to increase the  
2 electricity tariff that's paid for biogas  
3 projects. You can cap the carbon for large  
4 emitters and fine those who are in excess on a  
5 per-ton basis.

6 You can put a public goods charge on  
7 transportation fuels, which is what we already  
8 have on natural gas or electricity. A windfall  
9 profits tax. Increase the landfill tipping fee.  
10 Private equity; venture capital. Lots of ideas  
11 for where to get funding to pay for these.

12 So, any corrections? Omissions?

13 DR. LEVENSON: Any questions or  
14 clarifications, just to make sure? Okay.

15 All right, we'll start looking for  
16 commonalities now between the groups. Tim, you're  
17 standing up; if you want to go. And then Mike.

18 MR. JUDGE: You'll have to excuse me if  
19 I have to look with a pair of binoculars over to  
20 what this is. My gray hairs prevent me from  
21 remembering at all.

22 Basically there seems to be some overlap  
23 relative to some of the issues, particularly on  
24 permitting and AB-939.

25 We basically talked about how the

1 existing laws and regulations need to be updated.  
2 That the process is somewhat outdated at this  
3 point for how facilities and projects get  
4 permitted.

5 We also need to look at some of the  
6 contradictory points in the regulatory scheme  
7 where in one instance it's pushing forward on  
8 alternatives and renewable fuels, and looking at  
9 conversion technologies. And in the other  
10 direction it's inhibiting the implementation of  
11 those projects.

12 Part of that comes into interagency and  
13 intergovernmental coordination. So that we avoid  
14 situations where, let's say the air resources  
15 folks are saying one thing and not paying  
16 attention to what comes out the drainpipe, and  
17 vice versa. That we need to coordinate and have  
18 better coordination between agencies within  
19 governmental levels and between governmental  
20 levels. That coordination needs to occur.

21 Lifecycle and net emissions was  
22 something we also talked about, looking at the  
23 benefits. This was also, by the way, since I  
24 don't think I identified it, it's primarily on the  
25 alcohol fuels. I just realized a lot of people

1 are going, what the hell is he talking about. So,  
2 in dealing with the waste-to-ethanol issues, which  
3 is one of the conversion technologies.

4 And we need to define that new  
5 regulatory process that we tried to identify as  
6 being one of the barriers.

7 Another barrier dealt with financing.  
8 And looking at those issues, specifically some of  
9 the things were state loan guarantees and  
10 supplemental loan guarantees to help get new and  
11 emerging technologies into the marketplace.

12 Another thing that we think that the  
13 state can provide is risk validation so that the  
14 technology and the process is validated such that  
15 those companies that are putting forth those  
16 technologies can go to private capital markets.  
17 That those capital markets will be satisfied that  
18 somebody else has taken a look at this.

19 Because all too often individual  
20 companies seeking those kinds of help from those  
21 markets, that investment, don't have necessarily  
22 the depth and credibility that some of the larger  
23 players do. Especially smaller emerging  
24 companies.

25 State support for demonstration

1 projects. And that's somewhat tied into our area  
2 on research, and I'll get to that in a moment.

3 And then another thing was a large  
4 education and public outreach to get the public to  
5 understand what happens with waste; taking a look  
6 at the benefits and costs associated with  
7 different methodologies to get rid of wastes, how  
8 we handle it.

9 On the R&D side, or the research needs  
10 side, we didn't identify particular research needs  
11 in terms of areas of research, but instead kind of  
12 focused on the process of getting research done.  
13 And what are the mechanisms that we can use to go  
14 ahead and get research going, specifically on  
15 conversion technologies.

16 One of them is to create a stable  
17 funding source, or a stable funding platform which  
18 we could all draw upon and use. And part of that  
19 may be an enhanced tip fee or something, a portion  
20 of the tip fee that's allocated for a particular  
21 state fund to get demonstration projects up and  
22 going.

23 We may be looking at green waste. We  
24 talked about a couple of different components to  
25 that. Another, which was discussed earlier in the

1 presentations during this, it was brought up that  
2 somebody was looking at the landfill allowance  
3 system that they're using in Europe in terms of  
4 trading on those credits.

5 We also looked at -- if I can read from  
6 here -- we had the risk reduction is something  
7 that we think research can play a role in. We  
8 also looked at the validation, like a third-party  
9 validation. And that could come through research  
10 efforts, especially on the academic level and not  
11 just on the commercial side.

12 I'm trying to see if I've left anything  
13 out. Oh, request for proposal. How would the  
14 mechanism work. And one of the things we had  
15 talked about -- thank you, Fernando -- is, you  
16 know, send out a request for proposal or request  
17 for information on various technologies.

18 And get those in and then take a look at  
19 the promising field. Narrow that down for a  
20 competitive process to get research dollars from  
21 the state. And then take that and allow those  
22 folks to go forward and provide some benefit back.  
23 And some of those benefits may be such as  
24 NYSERDA's model in New York State, which is the  
25 New York State Energy Research and Development

1 Authority.

2 When they give money to a demonstration  
3 project, that project then acts as a platform for  
4 other individuals to come in and use that facility  
5 to do some research and to demonstrate other  
6 technologies.

7 So, you know, if we give you the money  
8 to build your plant, part of the agreement is that  
9 you allow the state to come in and open that up  
10 for other research needs. So that we can fund the  
11 true demonstration projects on the pilot scale  
12 rather than necessarily having to go to the  
13 commercial size demonstration facilities. Though  
14 both of those need to exist in the marketplace.  
15 And we think the state should support those.

16 I think that basically covered it. And  
17 if any of my fellow people in our group want to  
18 throw slings and arrows, here I am. So, I think I  
19 got everything. Thanks.

20 DR. LEVENSON: Okay, Mike.

21 MR. HART: I'm Mike Hart with Sierra  
22 Energy. I think it's safe to say that the range  
23 of political opinion in our group went anywhere  
24 from that we should use regulation in the state  
25 agencies to come up with the perfect solution, to

1 other people who might believe that giving  
2 regulators authority is like giving whiskey and  
3 car keys to teenage boys. So I think it's safe to  
4 say that we covered the full spectrum in our  
5 group.

6 We figured out that the top five  
7 barriers, and we're talking about biogas and  
8 syngas production, the top five barriers that we  
9 came up with was, one, 939.

10 The credit limits are basically giving,  
11 when feedstock is basically diverted from the  
12 landfill, instead of giving credit to the  
13 community that created it for recycling benefit,  
14 that's a major problem. And that needs to be  
15 addressed.

16 There is an incredible lack of education  
17 at the various agencies, as far as specific  
18 technology. They tend to regulate first and  
19 figure it out later. And so there is a benefit in  
20 the agencies becoming more educated and more  
21 informed about the technologies prior to passing  
22 regulations governing them.

23 There are also, there was an issue  
24 raised that the project proponents lack a general  
25 understanding of the permitting process. And the

1       need to give better data to those regulating  
2       agencies that are trying to deal with the permits.  
3       And that actually was one of the central points  
4       that we come up with later, is about the issue  
5       about permitting and dealing with the agencies  
6       involved.

7                 There is a significant issue, as the  
8       other groups have pointed out, a lack of funding  
9       available for addressing risk. There is a real  
10      problem with this. And the state could definitely  
11      address it. The state could also work on  
12      developing data and tests that could support new  
13      technologies with alternative energy.

14                Finally, one of the other barriers that  
15      we came up with was out-of-date legislative  
16      definitions. They don't reflect the current state  
17      of technology. And, again, that goes back to 939.  
18      But there is a need to redefine a lot of these  
19      specific definitions. And that's a real  
20      opportunity. It's not talking about changing the  
21      legislation, it's talking about redefining some of  
22      the specific terms.

23                The top five solutions which we came up  
24      with as a group. The first was addressing the  
25      issue of ownership of the feedstock. Right now

1 the waste basically belongs to the waste haulers  
2 once it's diverted away. And there needs to be a  
3 way for the communities to take control of that  
4 waste stream and divert it to some of the  
5 renewable projects, some of the projects that  
6 takes waste-to-energy and waste-to-fuels.

7 And also, again, to address that issue  
8 about getting credit for those diversions and  
9 recycled to renewable energy and such through the  
10 939 program. So those are issues that have to be  
11 addressed.

12 Next is education. Again, perhaps  
13 educating the agencies, the consumer and the  
14 project proponents. So education came through  
15 loud and clear; something that people need to  
16 spend more time talking to each other and  
17 communicating.

18 We came back very strongly on the issue  
19 about a one-stop shop for permits. We came up  
20 with sort of the definition of an ombudsman.  
21 Somebody that basically, through a developer fee,  
22 where you would come in, pay one agency, one  
23 entity within the state. And that person would be  
24 your project proponent that could trump all of the  
25 other agencies. Because god knows there's a lot

1 of them. But could basically help guide you  
2 through the path of sometimes very conflicting  
3 regulations when you're talking about a new  
4 project.

5 There also was a discussion about, for  
6 research and development or pilot projects,  
7 specific waivers of some regulations. Basically  
8 step back and see how it works. Try it. And then  
9 decide how you're going to regulate it after-the-  
10 fact.

11 Risk mitigation again came up. One of  
12 the solutions we talked about was loan guarantees  
13 and seed funding for pilot projects. And we  
14 actually addressed that more on the next page, so  
15 I'm just going to cover that briefly.

16 And finally, using the Waste Board to  
17 actually lobby for change. Rather than them  
18 simply being a regulatory entity, actually having  
19 them be an advocate for the waste conversion  
20 community, because that's the role, I believe,  
21 they should take.

22 I've covered the next one as far as the  
23 research.

24 The research area, one of the things was  
25 a better understanding of the lifecycle impacts of

1 waste management. Just a full understanding of  
2 the entire cycle of waste. And actually providing  
3 real numbers through lifecycle cost analysis; and  
4 to quantify that system against the status quo.

5 In other words, when you have a new  
6 technology you can lay it across in an apples-to-  
7 apples comparison against the current status quo.

8 Next was a need to look at the rules and  
9 regulations that impede the industry. Such as air  
10 quality standards and diversion credits. Again,  
11 this issue keeps coming up. I heard it in al  
12 three groups. These issues need to be addressed.

13 There is a need for an independent  
14 evaluation of the recycling markets, the costs,  
15 the environmental issues, and the understanding of  
16 the materials flow. Basically research just  
17 providing sort of a primer that any developer of a  
18 new project could look to and have a standard set  
19 of numbers to work from, addressing all these  
20 numbers.

21 Finally, I think the issue that, one  
22 idea that came up as a research idea was similar  
23 to an x-prize And that is that the state, the  
24 Integrated Waste Management Board should be able  
25 to put up some real money. We're talking about

1       \$50 million, \$100 million, to back projects that  
2       are interesting, but are in the valley of death.

3               And the valley of death is between a  
4       small little demonstrator, a university lab or in  
5       somebody's garage, where they've got an  
6       interesting idea. And having five commercial  
7       projects up and running that GE is willing now to  
8       finance another 50 of them, there's a gap between  
9       those two, those two positions. And there's a lot  
10      of research thrown in there, there's a lot of  
11      development thrown in there. It's not commercial  
12      yet, it's in that gap in between.

13              The state should be able to put together  
14      a set of guidelines saying we're looking for  
15      innovative technologies that are not commercial,  
16      they're not out there, they're not being stamped  
17      out someplace else. But they're innovative and  
18      they have real potential.

19              The state could then take a position  
20      where they would actually replace the typical  
21      venture capital community which is amazingly risk  
22      averse. And actually come in and say, we'll  
23      invest in this because it's our problem, it's our  
24      waste. And the state could take that position and  
25      they could actually make either a reasonable rate

1 of return or actually take an equity position,  
2 depending on what guidelines that are developed.

3 But it's actually using this approach to  
4 look at a broad variety of ways of dealing with  
5 the waste stream in California. It gives the  
6 state the opportunity to basically lead in this  
7 area, rather than simply be impeding progress. So  
8 that was one of the suggestions we came up with.

9 Is there any questions? Okay, thank  
10 you.

11 DR. LEVENSON: Okay, thanks to all three  
12 of you; that was very coherent and concise  
13 descriptions of what we're -- as you all know, you  
14 were in the groups, the conversations that I heard  
15 were going all over the place. So I think you did  
16 a great job of trying to pull them into some  
17 semblance of coherence. And we'll keep working on  
18 that.

19 I mean I just was trying to jot down  
20 some commonalities. And I'm sure I'm going to  
21 miss some, but clearly some of the things that  
22 came up in all the groups were the issues of AB-  
23 939, the diversion credits and the definitional  
24 issues.

25 Then kind of the permitting issues where

1 they're related to the definitions so there's  
2 consistencies, or the need for some sort of one-  
3 stop shop, ombudsman or other ideas like the  
4 waiver ideas.

5 Education. The regulatory agencies for,  
6 you know, in terms of technology status or  
7 development of the public in general about  
8 benefits and impacts. And the proponents about  
9 things that they need to know in terms of  
10 permitting processes and also kind of an overall  
11 education.

12 In a lot of different ways the issue of  
13 the cross-media benefits and costs that, you know,  
14 decisions are made on the basis of one particular  
15 parameter, and they don't take into account some  
16 of the costs or benefits associated with other --  
17 in other media, like the greenhouse gas reductions  
18 versus NOx was one example.

19 And then the general issue of the valley  
20 of death and risk mitigation, the need for funding  
21 of some sort for demonstration projects, or a  
22 state role in technology evaluation of some sort.  
23 Or some investment function in terms of getting,  
24 you know, projects that are looking good, but  
25 can't quite get over the hump in the valley of

1 death. Some role in that.

2 I probably missed a few, but those are  
3 five or six things that I heard. Virtually all  
4 the groups kind of talk about in terms of the  
5 presentations, gleaning from the presentations  
6 that I heard.

7 What I'd like to do now is, you know,  
8 open it up for general comments if anyone wants to  
9 make them. Or if you're all tired and you want to  
10 just kind of wrap it up, that's fine, too. But,  
11 there's a chance to add onto any of those ideas,  
12 let us know that you think some of them are  
13 important.

14 Clearly, there are many different  
15 perspectives here on the role of government and  
16 the needs for these technologies. And we  
17 appreciate and recognize that.

18 So, you know, our role -- next steps  
19 right now will be for the Collaborative and the  
20 Waste Board Staff to take this; and the  
21 Collaborative will be prepping a report.

22 We will, as I mentioned earlier, you  
23 know, bring this information back to our Board.  
24 In a few months we will do further analysis of  
25 some of these issues. Many of these things have

1       come up before. We've done analyses of some of  
2       them. Others are brand new, or at least we  
3       haven't done any, you know, detailed work on them.  
4       Some of them require legislation; some of them  
5       don't. You all know what the field looks like  
6       here.

7                   So, we'll try to put that together in a  
8       way that makes some sense for our Board, and get  
9       some further direction on where they want to go.  
10      A lot of these things are being discussed at the  
11      Legislature, as we speak. Some of those  
12      discussions have gone on for years, some of them  
13      are new.

14                   So, I think there's a chance now that  
15      some things can happen. There's a different  
16      alignment of the stars. Whether that's going to  
17      result in anything, I don't know, but it's  
18      certainly, I think, a better atmosphere right now  
19      for talking about these kinds of issues than it  
20      was a few years ago.

21                   So, I'll shut up. And we have the  
22      gentleman in front, and then Mike, and then  
23      we'll --

24                   MR. TAYLOR: (inaudible) --

25                   DR. LEVENSON: Yeah, I think we'll need

1 to have you -- do we have a -- okay.

2 MR. TAYLOR: Well, I wasn't thinking of  
3 being that formal, but --

4 DR. LEVENSON: Well, just so everybody  
5 can --

6 MR. TAYLOR: Yeah. My name is Taylor,  
7 Donald Taylor with Taylor Energy. I noticed that  
8 even though we had a lot of diverse comments in  
9 our groups, when they came back together again I  
10 noticed an awful lot of commonalities in what we  
11 were looking. I was so surprised. I thought,  
12 okay, somebody copied our group, you know.

13 Anyway, so I think I felt we gave you a  
14 pretty good consensus from three different groups.  
15 And you could have changed the name from methanol  
16 to syngas biofuel, and a lot of us. I thought we  
17 did good.

18 DR. LEVENSON: Thank you. Yeah, I think  
19 obviously could have cut the groups different  
20 ways, but, you know, we needed to split you up in  
21 some way. And the fact that there were these  
22 commonalities, I'm sure there were a lot of  
23 differences, too. When we get into the details of  
24 things there'll be differences.

25 But that was striking that there were

1 four, five, six things that came through in all.

2 MR. THEROUX: When you pick this stuff  
3 apart with the Collaborative, one of the things  
4 that we've done in the past that might work --  
5 pardon? One of the things that might help --  
6 Michael Theroux. I thought he said put the mike  
7 down a little bit.

8 I probably don't need the mike very much  
9 in the first place. But, as you find specific  
10 items in this mix that could use a little further  
11 discussion, one of the things we've done in past  
12 systems is you call a roundtable, maybe at a call-  
13 in conference or something.

14 And say, hey, anybody, you know, with  
15 your list serve, we're going to pick at this topic  
16 a little bit more and unravel it here. Anybody  
17 interested in a call-in conference. And that was  
18 pretty handy in the past, and it seemed to be  
19 pertinent on some of these very specific issues  
20 that had come out of this discussion in this last  
21 day.

22 DR. LEVENSON: Thanks, Mike. Anybody  
23 else want to make any comments? Everybody's ready  
24 to call it a day. Oh, Tim. Sorry.

25 MR. JUDGE: I was just going to say

1 thanks to all of you, to the staff of the  
2 Integrated Waste Management Board --

3 (Applause.)

4 DR. LEVENSON: Okay. Well, thank you,  
5 all, again. I think it was great to have these  
6 discussions and hopefully you all learned  
7 something. I certainly did. And we will continue  
8 to work to get this material, you know, available  
9 in a public manner and have further discussions on  
10 this. And when you see things in the Legislature  
11 you need to be involved.

12 DR. JENKINS: All right, you thought you  
13 were going to get out of here, but you're wrong.  
14 Okay, you can't get out of here until I've got my  
15 say, so --

16 (Laughter.)

17 DR. JENKINS: That's my privilege, I  
18 guess; my pleasure, actually. Thank you, Howard,  
19 for excellent comments there.

20 I just want to comment a couple of  
21 things. First, on this issue of commonality, also  
22 was impressed by commonality. I was specifically  
23 impressed by the commonality with the Biomass  
24 Collaborative roadmap. So if you've not read that  
25 document, please go back to it and read it, and

1 pull some of those things out.

2 Now, there were some new things that we  
3 heard, and we'll probably work those into the  
4 roadmap, as well. So, thanks for that. But we'll  
5 be working this up and get a report out to the  
6 Board and to you, of course.

7 We had talked briefly before the  
8 sessions about whether we wanted to pull specific  
9 issues out and have something like a follow-on.  
10 Michael referred to a roundtable or follow-on  
11 session, so we'll be looking for something along  
12 those lines, if we can see something there that  
13 needs to be addressed.

14 So, if you don't mind, and you haven't  
15 seen the roadmap, please go there and take a look  
16 at it. We are still anxious for comment.

17 Anyway, tomorrow for the tour, just to  
18 point out that the time for the gathering point,  
19 somebody reminded me, and I'd actually thought  
20 about it after I copied it off, but if you can be  
21 at the gathering point about 8:30. The bus will  
22 probably wind up there at about 8:30, and we'll  
23 begin with the tours.

24 We're loading up here about 8:00 so it  
25 will be a few minutes before we actually get out

1 of here. So, 8:30, somewhere around there.

2 However, I would encourage you to be on  
3 the bus if you're scheduled to be on the bus.  
4 Because we're going to be pretty tight for  
5 parking, and a lot of vehicles moving around is  
6 not the most sustainable thing anyway. So if  
7 you're going to be on the bus, please be on the  
8 bus instead of driving. If you have to drive,  
9 that's fine.

10 Anyway, you know, if you didn't get it,  
11 there probably are a few more of these maps in the  
12 back. So you can do that.

13 And I do want to thank a lot of  
14 individuals and groups of people here. I made  
15 some comments yesterday about this, but I do want  
16 to say thanks to the California Energy Commission  
17 and the California Integrated Waste Management  
18 Board, in particular, for their support of the  
19 forums.

20 Now there were other agencies and  
21 institutions and organizations that supported  
22 that. And, you know, a number of them are  
23 represented here. SMUD, for example, has  
24 supported us in the past; and CDF and CDFA  
25 agencies, California Department of Forestry and

1 California Department of Food and Agriculture.  
2 I'm going to miss a whole bunch of people here, so  
3 I'm going to just stop. But we do appreciate the  
4 support to the Collaborative over these four years  
5 from a number of people.

6 Certainly for the reception we also want  
7 to thank our industry sponsors for that reception,  
8 which include BlueFire Ethanol, PG&E and  
9 RealEnergy and who else did I forget, Martha, is  
10 that -- oh, Waste Management, yes. They're going  
11 to fund everything else on this, I understand. So  
12 they'll be looking for a few billions into the  
13 biofuel industry here shortly.

14 Of course, also the agency staff have  
15 been very helpful in arranging, of course, this  
16 forum today. Howard Levenson, Fernando Berton and  
17 Alan Glabe, I want to express particular thanks to  
18 them for all that they've done in helping to  
19 assemble this.

20 Also, of course, the Collaborative  
21 Staff. I've mentioned these people, and I can't  
22 mention them enough times for all the effort that  
23 they've put into this. I sort of stand here and  
24 don't do a whole lot otherwise.

25 But, Arthur Gilder, Rob Williams; we

1 have with us Dae Hyun Kim and Seonggu Hong, still.  
2 Cora Monce's been participating with this. Pete  
3 Dempster, who's wandering around with the camera  
4 you may have noticed. Except this morning Rob had  
5 to do that, I guess.

6 Lime Yan is a programmer with the  
7 Collaborative. Lian Duan has done a lot of  
8 programming. She's now back with CDF. But we've  
9 had excellent staff support with the  
10 Collaborative. And this is sort of the one time  
11 during the year that I get to publicly announce  
12 thanks very much.

13 Also thanks, of course, to the speakers.  
14 Excellent presentations over the last two days. I  
15 really learned quite a bit and I'm very impressed  
16 with the quality of the presentations. And we'll  
17 get those proceedings up as soon as we can. We'll  
18 get at least some of them up within a week or so.  
19 So be looking on the Collaborative website for  
20 that.

21 Also for the moderators for doing a  
22 pretty good job on keeping us on time and getting  
23 us done. I see I'm running over my two minutes --  
24 no, I've got till 5:30, that's right.

25 (Laughter.)

1 DR. JENKINS: Also thanks to Peters  
2 Reporting for sitting here and doing an excellent  
3 job keeping track of things. So we'll look  
4 forward to the transcript coming. That transcript  
5 should be up on the website, as well, when we get  
6 that available.

7 We can post -- well, if we don't have  
8 any objections to it, we'll post the list of  
9 attendees; we can do that, yeah. Well, I don't  
10 know, we didn't get signatures, so we'll post it,  
11 I guess. And then if people complain we'll take  
12 it down.

13 (Laughter.)

14 DR. JENKINS: Also thanks to the  
15 Conferences and Event Services out at UC Davis. A  
16 couple people sitting downstairs when you came in,  
17 I think where you got your registration, sitting  
18 in the cold down there this morning I noticed.  
19 The thing was fairly chilly yesterday, as well.  
20 So good service there provided on the  
21 registration.

22 Also, I'll thank in advance the various  
23 folks who are working with us on the tours, the  
24 facility operators and the like. And, of course,  
25 the various academic personnel associated with the

1 various activities you'll see tomorrow over at UC  
2 Davis. I do want to thank them for taking their  
3 time and making these available to us for the  
4 tour.

5 And I think I've probably forgotten many  
6 other people here. But, certainly Jim Boyd and  
7 Margo Reid Brown for coming down and giving us the  
8 keynotes for the two days. I'd like to  
9 acknowledge them, as well as staff from  
10 Congresswoman Matsui's Office.

11 And then as I started out yesterday  
12 thanking you, I will thank you again for remaining  
13 here and being through all this and providing all  
14 the comment this afternoon, and helping to keep us  
15 on track. So I really do appreciate the input  
16 that you've made here. It's excellent.

17 And, of course, with that thanks you  
18 will receive an assignment. And that is, of  
19 course, to get your survey form in if you have not  
20 already done so. So please get that in before you  
21 leave today.

22 And with that, again, thank you very  
23 much. We'll look forward to this in another year,  
24 somewhere around the same time, probably. And if  
25 you have any comments ever at anytime or

1 suggestions, just send me an email or call me up.  
2 I can't guarantee I'll respond instantaneously,  
3 but I will try to respond at some point.

4 So, thank you very much.

5 (Whereupon, at 5:05 p.m., the forum was  
6 adjourned.)

7 --o0o--

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

I, PETER PETTY, an Electronic Reporter, do hereby certify that I am a disinterested person herein; that I recorded the foregoing California Biomass Collaborative Fourth Annual Forum; that it was thereafter transcribed into typewriting.

I further certify that I am not of counsel or attorney for any of the parties to said forum, nor in any way interested in outcome of said forum.

IN WITNESS WHEREOF, I have hereunto set my hand this 18th day of April, 2007.

PETERS SHORTHAND REPORTING CORPORATION (916) 362-2345