

Afternoon Session

Afternoon Keynote Speaker	141
Joe Desmond, Deputy Secretary of Energy, California Resources Agency	142
Sessions - continued	
III. Resources and Environment	169
Moderator: Rob Williams, CBC	
Strategies for Zero Waste in California: Paradigm Shifts in Resource Management	169
Fernando Berton, CIWMB	170
Building a Sustainable Vision for Biomass- Derived Fuels - Lifecycle Assessment in Planning and Development	177
John Sheehan, NREL	178
Environmental Regulation and Energy Generation on California Dairies	191
Ken Krich, Sustainable Conservation	191
Environmental Impacts of Woody Biomass Utilization	201
Mark Nechodom, USFS	202
Regional Cooperation for Energy and Environmental Management	214
Doug Wickizer, CDF	214
IV. Financing and Economics of Biomass Projects	
Moderator: Gary Matteson, CBC	225
State Incentives for Biomass Products and Power	226
Martha Gildart, CBC	227
Federal Financing for Biomass Development Through the U.S. Department of Agriculture Rural Cooperatives Program	240
Bill Hagy, U.S. Department of Agriculture	241
Climate Action Registry: Implications for Biomass Management and Use	257
Pierre du Vair, CEC	259, 272
Comments/Questions	262, 288

I N D E X

	Page
V. Summary	297
George Simons, CEC	298
Wrap-Up	306
Bryan Jenkins, CBC	306
Adjournment	311
Reporter's Certificate	312

1 if I can get my mind in gear here, Governor
2 Schwarzenegger to have responsibility over
3 managing all of the energy policy across the state
4 agencies, working with the federal government and
5 with neighboring states on regional cooperation.
6 Basically advising on all the energy matters for
7 the state.

8 Mr. Desmond has a lot of experience in
9 industry, as well as government. He was President
10 and CEO of Infotility, Incorporated, an energy
11 consulting firm. And also in software
12 development. And a board member of a number of
13 things. I really don't -- I had the pleasure of
14 actually speaking at a seminar that we had back on
15 the 14th of December for Mr. Desmond, discussing
16 various energy issues and especially the biomass.
17 That was really a pleasure to hear what he had to
18 say there and talk about integration in the state
19 and the agencies working together.

20 And so without further ado, let me do
21 introduce Deputy Secretary Desmond.

22 (Applause.)

23 DEPUTY SECRETARY DESMOND: Can everybody
24 hear me okay in the back? Super. Well, let me
25 welcome everyone here this afternoon and say it is

1 a pleasure to speak to you today on something that
2 is actually quite near and dear to my heart, and
3 that's biomass.

4 And the reason for that is much like you
5 have in other industries, it represents what you
6 would call a virtuous cycle, in that it is truly
7 the embodiment of sustainability when it comes to
8 developing policy that something can be recycled,
9 reused and generate power, electricity, then be
10 replanted, for instance, to capture carbon, which
11 is then released once again, and repeating that
12 cycle all around.

13 So the area of biomass, we talk a lot
14 about renewables here in the State of California.
15 We talk about wind; we talk about solar; we talk
16 about geothermal; we talk about hydro. But I
17 think it's high time that more time and attention
18 is spent focused on the subject of biomass.
19 Because it really is reaching the point where it
20 can play a significant role in helping California
21 meet the state's renewable energy standards.

22 What I'd like to do today is just
23 briefly talk a little bit about some of the things
24 that are happening. One, at the federal level.
25 Two, what the state is doing relative to biomass

1 and how biomass fits within the Governor's energy
2 policy priorities. And then also conclude with
3 some remarks about where we think we're going to
4 go in this subject area.

5 So, first off, let me just indicate I
6 think most people are probably aware that on a
7 nationwide basis renewable energy represents about
8 9 percent of the energy generated in the U.S. Of
9 course, if you back off hydro, it represents today
10 2 percent of what that is. And I'm sure, as many
11 of you have probably also read, the State of
12 California has a commitment to achieve 20 percent
13 of its energy through renewable resources by 2017.
14 The Governor has declared his intent and support
15 to accelerate that date to 2010. So that is the
16 state's goal, 20 percent renewable portfolio
17 standard by 2010, with an eye to saying how do we
18 go beyond that, perhaps to 33 percent by 2020.

19 So, clearly the State of California is
20 strongly committed to the use of renewable energy.

21 As I said, on a nationwide basis, if we
22 look at the national level about what's being
23 done, I know that today there was a report I just
24 received from the Bureau of Interior, the
25 renewable resources for America's future, talking

1 about all the things that they intend on doing in
2 the area of renewables. And more specifically,
3 biomass.

4 In that sense what the Department of
5 Interior has done is to establish a biomass
6 initiative, working together with the Department
7 of Agriculture, the Department of Energy and the
8 Department of Interior they are looking to address
9 the risk of catastrophic wildfire on federal
10 lands; they have signed an MOU between the
11 agencies.

12 And just as an example of some of the
13 things that they are doing, they have an
14 interagency woody biomass utilization group, still
15 informal, but meeting regularly and working on a
16 charter.

17 They have work being done on new
18 standard contract provisions around the delivery
19 and use of biomass resources available, -- make
20 cooperative agreements with the National
21 Association of Conservation Districts, and the
22 Bureau of Land Management is developing and
23 refining its biomass utilization study.

24 So then the question is, what's
25 California doing. Because California always likes

1 to lead in the areas of things like energy
2 efficiency and renewable energy.

3 So what I wanted to do is draw your
4 attention to two things. First, there is an
5 upcoming report that will be issued, and I have to
6 give credit to the folks at the California Biomass
7 Collaborative, the California Energy Commission,
8 certainly the California Department of Forestry
9 and Fire Protection, and Mr. Bryan Jenkins for
10 what is soon to be released, The Biomass in
11 California, Challenges, Opportunities and
12 Potential for Management and Development. And so
13 this is a very thorough comprehensive study on
14 what that opportunity is in the state.

15 Again, let me relate to you how biomass
16 fits within the Governor's what I'll call the ten
17 point electricity policy priority.

18 I had indicated earlier that biomass
19 represents a virtuous cycle because it generates a
20 useful product in the form of heat and electricity
21 and energy, but it's also being recycled into the
22 environment, whether that's through municipal
23 solid waste utilization, and carries with it many
24 many different types of benefits.

25 We have to, as policymakers, create an

1 environment that is conducive to the development
2 and growth of an industry. And specifically that
3 means what are we doing to create an environment
4 conducive to the growth and development of the
5 biomass industry.

6 Well, as I said, the Governor does have
7 a ten point plan for addressing energy needs.
8 And those priorities I'll walk through and relate
9 how biomass fits within each one of those. Some
10 of you may have heard some of this before; it may
11 be new to some of you, but I think it is important
12 to understand how this fits in that context.

13 The number one priority that California
14 faces today is something we call resource
15 adequacy. What does that mean? It means having
16 sufficient planning reserves under a one- and two-
17 year weather forecast to meet maximum demand.

18 Now, there are a lot of rules being done
19 and being formulated at the Public Utilities
20 Commission. This is something that was adopted
21 last fall. They are working towards a capacity
22 market. For those of you who are in the biomass
23 development business, that does mean that there's
24 an opportunity for a capacity payment, to the
25 extent it's qualified and deliverable. So we

1 think that's important.

2 But more importantly is that biomass has
3 the opportunity to add to the mix of diverse fuel
4 resources. And more importantly, oftentimes this
5 can be sited in some instances where it is
6 deliverable to the load. So biomass, itself, and
7 bioenergy opportunities clearly tie back to
8 California's number one priority.

9 Quick rule of thumb, most people don't
10 often think about this, but California has a huge
11 growing appetite for energy. Clearly we invest a
12 lot in energy efficiency. I'll talk about that in
13 a moment. But I want you to keep in mind that as
14 a state we have to add, based on a 2 percent
15 historic load growth, on average, net of
16 retirements, about 1000 megawatts of new capacity
17 each year. So think about that.

18 In the next 20 years that's going to
19 represent 20,000 megawatts plus the expected
20 retirements that can range anywhere from 5000 to
21 10,000. You can begin to get a sense of the
22 magnitude for what California's going to need to
23 do to bring energy and specifically 20 percent of
24 that being renewable energy at a minimum, into
25 that mix.

1 So the market opportunities are there.
2 And hopefully we're communicating those price
3 signals. But I just wanted to give you a sense of
4 the magnitude of the challenges we face as a
5 state.

6 The second priority, then, is in the
7 area of transmission. And quite simply I could
8 say that California has suffered from a chronic
9 under-investment in transmission infrastructure
10 over the last 15 years. And so the emphasis today
11 then is quite simply more is better. And by that
12 I mean we have to upgrade to reduce congestion
13 costs; we have to look at interstate transmission.
14 But in order to support the types of biomass and
15 bioenergy products we need transmission policies
16 that enable developers to connect those systems
17 into the grid.

18 On a small scale we need to make sure
19 the policies allow for that interconnection to
20 happen in a quick, acceptable manner. And that
21 the policies also can be used in a very small
22 scale, with distributed applications such that
23 we're not advocating what we'll call perverse
24 insensitives, and that would be assessing
25 penalties where otherwise a project is

1 contributing to help meet California's growing
2 energy need.

3 So, you talk about transmission and the
4 policies, recognize also that the risk of
5 transmission failure oftentimes is tied to fire,
6 as we saw last year with the spread of forest
7 fires. Any, again, opportunity that we have that
8 can help thin those forests and reduce that risk
9 of catastrophic fire helps to contribute to
10 improving the overall reliability of the
11 transmission network.

12 The third priority then, resource
13 adequacy, transmission, the third priority becomes
14 in the areas of rules on wholesale energy
15 procurement. And there's actually been quite a
16 bit of work that's been done. What the Governor
17 called for was an open, transparent, competitive
18 procurement process. In other words, utilities
19 would submit a plan, and then any contracts they
20 entered into or power plants that they built
21 subject to an approved plan would be assured of
22 that cost recovery.

23 So there's this expectation, then, of a
24 demonstration of prudence on the front end. What
25 does that mean for biomass? It means that we have

1 a number of additional rules incorporated into
2 that mix. The PUC did adopt the use of a
3 greenhouse gas adder in order to help assess the
4 potential risk of future carbon regulation.

5 That ranges, I want to say, somewhere
6 between \$16 and \$30 -- 24, I could be off on the
7 figures. But nonetheless, as the utility goes out
8 and evaluates, all things being equal, you would
9 look to a renewable resource. And so, again, the
10 types of policies we're putting in place are
11 designed to encourage that.

12 On the other wholesale procurement,
13 certainly as a state we want to support efforts at
14 the federal level to extend the production tax
15 credit for a long period of time to all renewable
16 resources, including geothermal, biomass, wind and
17 solar.

18 And so as we look at these rules what do
19 we expect to come out of this? Well, we look to
20 the utilities to identify those requirements using
21 a least-cost, best-fit methodology. But more
22 importantly, they have to look out for a longer
23 period of time and then identify those needs.

24 And as we move that requirement for an
25 RPS up to 2010, it means, quite honestly, that it

1 increases the opportunity as well as the pressure
2 to comply by identifying what are, in fact, viable
3 technologies that we should be looking at to help
4 meet that 20 percent renewable portfolio standard
5 goal.

6 So, in the top three priorities alone
7 you find that again, the conditions and the
8 environment is very positive towards the
9 development and growth of the biomass industry.

10 Number four tends to focus on how do we
11 increase our sources of natural gas supplies. Now
12 whether that's instate gas production, new
13 pipelines, or imported natural gas, the fact is
14 that biomass, as a renewable resource, helps to
15 mitigate against gas price volatility. So, once
16 again you see the connection back to the state's
17 priorities when it comes to renewables.

18 In the area of number five is rate
19 relief. That really focuses on making sure we get
20 the maximum benefit out of the DWR contracts,
21 renegotiation, as well as FERC refunds, stemming
22 from the electricity crisis. I can't honestly say
23 that biomass is a huge contributor to that
24 problem, so that's the one area where it probably
25 doesn't fit easily into my little ten points here

1 today. But nonetheless, it is a priority for the
2 Governor to make sure that rates in California are
3 competitive, and it helps our economy and the
4 creation of jobs.

5 In the area of energy efficiency the
6 state has led by example across this country. It
7 will continue to do so. We have a number of
8 initiatives in that area again that create
9 opportunities for biomass. Specifically the
10 Governor was a sponsor of a resolution at the
11 Western Governors Association back in June of
12 2004. That resolution calls for the
13 identification of policy options around the
14 development of 30,000 megawatts of clean energy in
15 the west, as well as a movement towards energy
16 efficiency.

17 I indicate it here because again we have
18 formed a clean and diversified energy advisory
19 council consisting of 29 members representing both
20 industry, as well as the states. They are now
21 breaking into different task forces and they're
22 working at crafting those types of policies. And
23 biomass and biopower, biofuel opportunities will,
24 in fact, make their way into those recommendations
25 that ultimately will go back to the Western

1 Governors Association in June of next year.

2 Renewables. I think probably moreso
3 than any other state in this nation this Governor
4 has led the way by indicating both economic growth
5 and environmental improvement can be pursued at
6 the same time, simultaneously. They are not
7 mutually exclusive options.

8 And so in that sense we have a goal to
9 move to this 20 percent by 2010. We are backing
10 legislation this year to do that. We're also
11 looking at the use of unbundled renewable energy
12 credits. So, again, for those developers that
13 have them, we want to make sure that those are
14 sited, and eventually that those have the
15 opportunity to satisfy requirements across not
16 just California, but the entire west.

17 And in that vein the State of
18 California, through it's Energy Commission, has
19 been funding the WREGIS program, which stands for
20 the Western Renewable Energy Generation
21 Information System, WREGIS, which is an accounting
22 mechanism for registering and then retiring
23 renewable energy credits. So, once again, it's
24 another example of where biomass can have a role
25 to play in that mix.

1 I don't want to ignore for a moment here
2 the opportunity in the transportation fuel sector.
3 The 2004 IEPR update, the Integrated Energy Policy
4 Report the Energy Commission has identified, looks
5 to and seeks to identify a series of
6 recommendations, as we think about how to deal
7 with the growing demand for petroleum, or
8 alternative petroleum products consistent with the
9 state's approach.

10 Number eight, we have as a policy
11 priority is reopening retail competition from
12 large users. But I want to be careful about how I
13 put that in context. That is provided that the
14 two conditions are met. The first is that there's
15 no cost-shifting; and secondly, that we're not
16 creating a new stranded assets.

17 But I think you will find that in the
18 area of competitive markets there is a strong and
19 growing demand for green power. And oftentimes
20 you find that in the area of community choice
21 aggregation where certain cities look to procure
22 50 percent of their power as being green.

23 So what do we need to make that happen?
24 We need a mechanism for tracking, insuring and
25 certifying that they have the confidence that

1 they're delivering and paying for a product that
2 they're getting.

3 But more importantly it's that choice
4 that helps to influence and shape and drive the
5 market. And so where there are retail sellers of
6 power that serve those types of customers, they
7 have to find an opportunity to deliver that. And
8 that's where, again, biomass has a role to play.

9 The last two, advanced metering/dynamic
10 pricing. Why is that relevant? Well, in general
11 we are looking to deploy advanced meters across
12 the system for a number of reasons, not the least
13 of which is to capture any sort of price
14 elasticity that exists by allowing customers to
15 make more rational informed choices about when and
16 how they use energy, based on the price and the
17 cost to deliver.

18 But also there are those types of
19 products that operate, solar being a good example
20 of one, where it contributes onpeak. But again,
21 as a renewable resource, biomass in the operation
22 of certain plants can, in fact, contribute. The
23 net value should be reflected in the cost of
24 energy as it's delivered to consumers.

25 We think there are a lot of other

1 benefits associated with that, as well. Benefits
2 that speak to the ability of people to identify,
3 aggregate, forecast, but again in that process,
4 identify, aggregate and look to procure renewable
5 green power. And that's an important component of
6 that.

7 And then lastly, number ten, is the
8 commitment to continue the investment in research
9 and development, demonstration projects and
10 technology transfer. Because if there's one thing
11 California does well, it is reinvent itself. And
12 there's probably no better example of that than in
13 the Silicon Valley, where the community is capable
14 every 15 years of finding new technologies and
15 changing the world.

16 And in that sense we look at advances in
17 biotechnology and their ability to move forward.
18 Things that were not possible several years ago,
19 including new organisms, perhaps, or new
20 conversion processes for anaerobic conversion of
21 biofuels, cellulosity conversion, looking to
22 identify those opportunities.

23 And the research that goes along with
24 that is absolutely critical for this industry to
25 again move forward and to identify.

1 So as I take a step back and I look at
2 what California's doing, I actually see a very
3 bright future for the biomass industry, whether
4 that's in bioenergy, biofuels, any number of the
5 other applications.

6 So then what do we need to make this
7 vision if you will, or this opportunity, a
8 reality. Well, what I would say is that today we
9 still have fragmented programs that led to
10 overlapping and sometimes confusing initiatives.

11 There's a lot happening at the federal
12 level. There's a lot happening in different state
13 agencies. What's necessary and what we're doing
14 today is forming and reinvigorating the state
15 agency biomass working group. That will consist
16 of the Energy Commission, the PUC, certainly the
17 Air Resources Board, State Water Resources Board,
18 California Department of Forestry and Fire
19 Protection, Food and Ag, Integrated Waste
20 Management, I think I got that. If I've left any
21 out I'll let you know, and in fact, Jim Boyd, who
22 was very strong advocate, Commissioner Boyd --
23 who's recovering from the flu that's been going
24 around. I give him credit for being here today --
25 is one who I'm sure will continue to lead that

1 charge.

2 But it's time that we find a way to
3 develop a comprehensive set of statewide policies.
4 And so the types of things that we'll be looking
5 to do, obviously, are to begin to identify, you
6 know, the policy initiatives that are appropriate
7 to move this market forward; to identify specific
8 legislative needs, whether it's in changing
9 definitions, for instance; or it's looking at the
10 establishment of goals and standards along the
11 lines of biomass; or identification of the types
12 of credits, or giving credits so we can monetize
13 the benefits of reducing landfill and reducing
14 municipal solid waste.

15 We need a group to interface with the
16 federal agencies. There is a lot of federal
17 money. We read in the newspaper all the time
18 about how California doesn't get its fair share.
19 And so we need to identify a mechanism for
20 obtaining that and having those dollars come back
21 into California where, in fact, we have tremendous
22 resources across all these areas, whether it's in
23 municipal solid waste, forest waste and
24 agricultural waste.

25 And then lastly we need a group to

1 inform the 2005 and on a going forward basis IEPR,
2 the Integrated Energy Policy Report, so that, in
3 fact, biomass has a prominent role, I should say
4 prominent, equal to the other types of renewables,
5 such as wind, geothermal, solar and hydro.

6 But I think that's where we want to go
7 with that. Other things that I would suggest. We
8 talked about the legislative needs and the
9 interface. We want to identify regulatory hurdles
10 facing the biomass development, to serve as an
11 interface for public/private cooperation, to
12 identify demonstration projects.

13 I know in talking with many of the
14 different cities around the state that they have a
15 very strong desire to enter into demonstration
16 projects, whether that's on biofuels or
17 alternative fuels or biomass and municipal solid
18 waste conversion.

19 We want to encourage education and
20 outreach so that we improve and increase the
21 public awareness of biomass and its role as part
22 of a sustainable energy future.

23 And then obviously we're going to need
24 to work on some budget issues, but nonetheless,
25 that is really the focus, is to reinvigorate and

1 breathe new life into the biomass industry here in
2 the State of California so it takes, as I said, a
3 very prominent role and gets the attention and
4 opportunity I think it so richly deserves.

5 So, with that I'll conclude my comments,
6 and again, thank all of you. I'm sorry I could
7 not have been here for the technical sessions. I
8 love that stuff. I love to read it and I do read
9 it. But again, it's a busy schedule. So, thank
10 you so much for your time.

11 (Applause.)

12 DR. JENKINS: Thank you, Deputy
13 Secretary. Very nice words. I don't know if you
14 want -- well, maybe I shouldn't ask -- do you want
15 to take a question or two? Are there any
16 questions from the audience? We heard a lot of
17 things here, a lot of goals, some things directly
18 related to the mission of the Collaborative, but a
19 lot of other activities, as well, in the state.

20 Are there any questions for the Deputy
21 Secretary? Just one or two.

22 All right, right here.

23 MR. MUNSON: Enjoyed your comments.

24 Would it be possible to focus in on trying to see
25 California get a substantial amount of the \$760

1 million a year of healthy forest initiative
2 thinning money to kick the next round of fire
3 reduction off?

4 DEPUTY SECRETARY DESMOND: Absolutely.
5 I mean I think that's when I talked about us not
6 getting our fair share across the board, that's a
7 good example of money available that we should be
8 using. There is a number of good studies, both
9 the California Biomass Collaborative has already
10 done some pretty exciting work and others, but
11 that is, in fact, what a task force is capable of
12 doing, is identifying and then implementing a
13 coordinated strategy to go and get those dollars,
14 and get them flowing back to California.

15 So, again, part of this is just simply
16 identifying what all those options are. There's a
17 lot of places and a lot of buckets of R&D and
18 demonstration dollars out there. And likewise,
19 there's a lot of in-kind contributions.

20 I know in speaking with the Forest
21 Service they said, look, we're happy to designate
22 large areas, even if it helps California move this
23 process along. So we want to pursue all those
24 opportunities.

25 Yes. We'll go one, two and three.

1 MR. REESE: Hi, I'm Phil Reese from the
2 California Biomass Energy Alliance. Joe, you
3 mentioned reforming the interagency working group.
4 What stage is that now? Is it a formalized
5 structure? Has a letter of invitation gone out?
6 Or is it --

7 DEPUTY SECRETARY DESMOND: I'd have to
8 defer to Commissioner Boyd, because in speaking to
9 him I know, as I said, he's been contacting the
10 old agencies, and it's been some time. But it
11 turns out a number of those individuals that were
12 on the original working group have either moved
13 on, so I'll defer to Jim to identify where those
14 are.

15 But the plan, actually much like we've
16 done for instance in LNG interagency working
17 group, where there's not a charter, per se, but
18 there's a regularly set of scheduled meetings and
19 people who are assigned from each of the agencies
20 who come and attend, and then communicate that
21 back to the various agencies.

22 MR. REESE: And Jim will let us know
23 about that?

24 DEPUTY SECRETARY DESMOND: Yes, he will.
25 When he's feeling better. Not going to put him on

1 the spot.

2 MR. MOLIN: Yes, Mr. Secretary. I'm
3 wondering how we can create in the State of
4 California immediately a large, multibillion
5 dollar green fund so the developers of biomass
6 industries, people in here have been around for
7 10, 20 years in this industry. They made 10 cents
8 a kilowatt hour for their power, that's what it's
9 all boiled down to, that's what the studies say.

10 How do we create this green bank
11 immediately, such as Germany has created; many
12 other countries have already created; for the
13 rapid adoption of anaerobic digesters,
14 gasification processes and new waste-to-heat
15 processes? Because that's what we need. We need
16 the capped, low interest and zero interest loans.
17 And a lot of money, not just a couple million or
18 20 million. We need a large green fund. How can
19 we do it?

20 DEPUTY SECRETARY DESMOND: Maybe I'll
21 try to answer that in two different ways. When we
22 look at other renewables, for instance, the
23 challenge is obtaining financing. And it's not so
24 much the price on a delivered basis. Clearly
25 that's on the buy side. But the risk, the

1 perceived risk associated with the stage of
2 certain of the technologies and the economics of
3 how those projects will play out over time.

4 So I think part of that is to say we
5 don't necessarily have to create new funds if we
6 can identify existing sources of money. Part of
7 what I spend my time doing is communicating with,
8 for instance, the venture capital and project
9 finance community about these things.

10 Now, I recognize that there are, you
11 know, that is very slow. We have done something
12 similar in revolving loan funds in the past in
13 energy efficiency, where we've created those. I
14 would say that that's an idea that ought to be
15 taken up by the working group and would probably
16 fall into the category of, you know, ideas for
17 potential legislation.

18 I don't know the exact specifics of how
19 you'd construct or set that up, but clearly that
20 would be one of the ideas I think is worth
21 exploring further.

22 Pardon me?

23 MR. MOLIN: I have some ideas.

24 DEPUTY SECRETARY DESMOND: Great, we
25 certainly want to hear those. Yes, sir.

1 DR. HUGHES: Evan Hughes, Biomass
2 consultant. I have a question on what I think you
3 referred to as a perverse or adverse incentive,
4 and the same thing sprung to my mind listening to
5 Commissioner Boyd earlier.

6 I suspect, maybe others would argue on
7 this, that there's a problem with NOx regulations
8 where biomass costs are being made higher than
9 they need to be for a negligible gain regarding
10 NOx reduction, where biomass cannot compete very
11 well with natural gas generation.

12 And in order to forward the renewable
13 agenda and to forward a greenhouse gas agenda, I
14 suspect some compromise needs to be made here,
15 which would be a regulatory coordination issue.

16 Is that an issue you encounter? And --

17 DEPUTY SECRETARY DESMOND: Well, --
18 whether it's, you know, digester applications and
19 how they look at methane. These questions come up
20 oftentimes when you have agencies that tend to
21 have a single purpose, whether that is water or
22 it's air. And what we have to do and the purpose
23 of having an agency working group is to begin to
24 communicate so that it's a comprehensive
25 consistent policy that, in fact, is looking

1 towards outcome-based goals. And that is the
2 furtherment and development of renewable energy,
3 while at the same time pointing to or
4 demonstrating improvements in the environment.

5 So that can come about in a number of
6 different ways. It can come about through
7 memorandums of understanding between agencies on
8 how they're going to deal with certain issues. It
9 can come about on proposals for changes or
10 exemptions to different types of regulations. It
11 can come about through trading offsets or any
12 types of any number of credits that can be dealt
13 with in different ways.

14 So, I think part of the objective here
15 is to make sure we recognize what's the end game.
16 And by end game I mean what is it we're really
17 trying to accomplish. And that's we need new
18 sources of renewable energy going to promote an
19 industry, and we need to recognize the benefits
20 associated with that in those tradeoffs.

21 I think a good example of where we can
22 begin to do that is in the definition of what is
23 waste. I believe that there's a bill being
24 sponsored by Assemblyman Bogh this year that deals
25 with some modifications to the definition of

1 integrated waste in order to make it easier for
2 anaerobic conversion technologies to move forward
3 in the marketplace. I don't have the specifics in
4 front of me, but I certainly recognize that's a
5 challenge whether we're dealing in energy or other
6 industries.

7 So certainly something that needs to be
8 taken up by that working group. I wish I had a
9 better answer for you on that, but --

10 Thank you very much.

11 (Applause.)

12 DR. JENKINS: Thank you very much,
13 again. Now we'll let the Secretary off the hook
14 here, I think, because before we drain the state's
15 bank account and answer all the regulatory issues,
16 but thank you very much for that. These are
17 really inspiring remarks.

18 And they lead directly into the
19 technical sessions this afternoon. The first
20 session which will be on resources and
21 environment; and then we have another session
22 which will be on financing and economics of
23 biomass projects.

24 And I do look forward to more coming
25 from the interagency working group and hearing

1 more from Commissioner Boyd at some point in the
2 future about whether the status of that and how we
3 can participate.

4 So, with that, your next moderator is
5 Rob Williams. Rob is with the California Biomass
6 Collaborative Staff, and he will be moderating the
7 session on resources and environment. Rob.

8 MR. WILLIAMS: Well, thank you and good
9 afternoon, everyone. Would this afternoon's panel
10 please come on down and have a seat. We'll get
11 started.

12 (Pause.)

13 MR. WILLIAMS: This session we're
14 cramped for time, so we're going to ask only 15
15 minutes per speaker, and we'll try to have
16 questions for this panel and the next panel after
17 this last panel in the afternoon.

18 So, we're going to start off with
19 Fernando Berton. He manages the organics material
20 management section at the California Integrated
21 Waste Management Board currently. He's worked at
22 the Board in several positions since the mid '80s.
23 And for a brief period of time he had his own
24 environmental consulting firm.

25 And recently Fernando has worked with

1 Board Member Rosalie Mul, as the advisor. And so
2 without any further delay let's bring on Fernando.

3 MR. BERTON: Good afternoon, everybody.
4 As Rob said, and so nicely reminded me, my name's
5 Fernando Berton, because sometimes I forget that.

6 (Laughter.)

7 MR. BERTON: I work in the organic
8 materials management section of the Waste Board.
9 And as the name implies, the primary objective of
10 our section is to find ways to best manage our
11 organic resources.

12 This is especially true based on the
13 Waste Board's 2003 waste characterization study
14 that was recently done. In that study it was
15 determined that just over 40 million tons of
16 municipal solid waste was disposed of in 2003.

17 Of that amount 30 percent of the
18 material still being landfilled is organic in
19 nature. This includes feed waste, leaves and
20 grass, prunings and trimmings, branches and
21 stumps, organic crop residues and manures.
22 Clearly we must do something to take that 30
23 percent and turn it into a beneficial use in some
24 fashion.

25 If all that organic fraction that's

1 being landfilled now were converted to
2 electricity, you could generate over 2300
3 megawatts.

4 AB-939 required that jurisdictions
5 insure at least 15 years of ongoing landfill
6 capacity for California counties. At the current
7 rate of 40 million tons per year, 15 years of
8 landfill capacity equals 600 million tons. This
9 much landfill material would fill a canyon larger
10 than 15 miles long, a quarter of a mile wide, and
11 20 stories tall. And don't forget, 30 percent of
12 that is still organic in nature.

13 This is not sustainability. These are
14 wasted resources and the focus our efforts towards
15 the notion of beneficial use and sustainable uses.

16 However, organic materials -- is just
17 one of many important programs within the
18 Integrated Waste Management Board designed to
19 accomplish our goal of a zero waste in California.

20 Now, I'm sure some of you are wondering
21 what is zero waste, what do I mean by zero waste.
22 And I think the best way to explain what zero
23 waste is would be to start by explaining what it
24 isn't.

25 Zero waste isn't about getting rid of

1 huge piles of garbage. It isn't even about
2 recycling every bit of garbage we produce. As it
3 pertains to the topic of this biomass forum, what
4 zero waste is is about using all our resources to
5 the fullest potential, because it will become a
6 waste if we don't use it to its fullest potential;
7 much like that 30 percent that's still being
8 landfilled.

9 Take film plastic, as an example. Film
10 plastic, like agricultural film, is made from
11 ethylene gas. Ethylene gas comes from natural
12 gas. Unfortunately nobody wants to recycle film
13 plastic.

14 There are processes available today that
15 can take that film plastic and convert it to a
16 synthetic gas which can, in turn, be converted to
17 ethylene gas, which in turn can be made into
18 plastic again.

19 Another example that's probably closer
20 to home here is dairy manure management. It's
21 becoming increasingly difficult to landspread
22 manure. So we must look to new management tools.
23 Anaerobic digestion technologies are very good
24 examples of where you can take the manure and
25 process it through a digesting technology to

1 produce the biogas to run the dairy. In turn, the
2 residue from that anaerobic digestion process can
3 be used as a soil amendment to grow the crops for
4 those dairy cows. Now how's that for a closed
5 loop system.

6 As these two examples illustrate, the
7 future success of diversion throughout California
8 should not be tied to resources -- should be tied
9 to resources and resource management. Not waste
10 management. Because as we all know, it's really
11 not about waste; it's all about resources.

12 This is especially true as we continue
13 to deplete our nonrenewable resources like natural
14 gas and crude oil.

15 Zero waste is based on the concept that
16 wasting resources is inefficient and that
17 efficient use of our natural renewable resources
18 is what we should strive to achieve. It requires
19 that we maximize our existing recycling and reuse
20 efforts while insuring that products are designed
21 for the environment and have the potential to be
22 repaired, reused or recycled.

23 Zero waste is about utilizing most
24 effective processes and includes something near
25 and dear to my heart, and that's research new

1 technologies and harnessing the energy potential
2 by using new and clean technologies to convert the
3 material into green fuel, or to produce
4 electricity.

5 I think California's renewable portfolio
6 standard is one of many steps that foster the
7 philosophies of zero waste because it provides an
8 incentive for increased utilization of biomass
9 resources. But I think there's much more to be
10 done, and that's what this biomass forum is all
11 about.

12 The Waste Board is in the process of
13 preparing a report to the Legislature on new and
14 emerging conversion technologies that can help
15 shift our focus from waste management towards
16 resource management. These technologies are new
17 and emerging in the sense that the material being
18 converted, not the technology, itself, is new and
19 emerging.

20 For example, you have gasification and
21 pyrolysis that has been around for quite a long
22 time, centuries, in fact. So, if a technology is
23 not new and emerging, but the use of biogenic
24 forces is where it is new. So in a sense it's
25 really a maturation of that existing technology.

1 The success of zero waste requires that
2 we redefine the concept of waste in our society,
3 so-called paradigm shift. That's the title of my
4 presentation. In the past waste was considered a
5 natural byproduct of our culture. Now it's time
6 to recognize the proper waste management, not
7 waste management, is at the heart of reducing
8 waste sent to landfills and towards a sustainable
9 society.

10 At the same time certain stakeholders
11 must also have a paradigm shift and realize that
12 these new technologies are not the big, bad
13 bogeyman for the environment, and have a place in
14 the zero waste world.

15 The question to ponder is how do we
16 succeed in accomplishing our goal of zero waste in
17 California. I think a big part of that success
18 depends on insuring that existing and proposed
19 laws and regulations do not pose a barrier to
20 achieving a zero waste California.

21 We also need to be cognizant of crossing
22 the issues and work with all our affected agencies
23 so that we move forward and don't work at cross-
24 purposes.

25 The Waste Board has taken zero waste

1 initiative head on. Like any good agency does, it
2 develops a strategic plan. One of the primary
3 goals of the Waste Board is to promote a zero
4 waste California where the public, industry and
5 government strive to reduce, reuse and recycle all
6 MSW back into the nature or the marketplace in a
7 manner that protects human health and the
8 environment, and also and most importantly from
9 the Waste Board's perspective, honors the
10 principles of California's Integrated Waste
11 Management Act.

12 Forums such as the one today help the
13 Waste Board realize that goal by involving the
14 public, the industry and government sectors.

15 In closing, currently we have a growing
16 population faced with limits of our resources from
17 the environment. We understand that our society
18 and industrial systems must begin to mimic nature
19 and move from being primarily linear to being
20 cyclical.

21 Each material must be used as
22 efficiently as possible, and must be chosen so
23 that it may either return safely to a cycle within
24 the environment, or remain viable in the
25 industrial cycle.

1 The only limiting factor in our success
2 is the boundaries of our imagination. And like
3 Albert Einstein said, "Imagination is more
4 important than knowledge." So, thank you very
5 much.

6 (Applause.)

7 MR. WILLIAMS: Thank you, Fernando.
8 Very inspiring talk actually. Let me get the
9 slide going for the next speaker.

10 (Pause.)

11 MR. WILLIAMS: Our next speaker comes to
12 you from the National Renewable Energy Laboratory
13 in Colorado. We will have John Sheehan. He's the
14 Senior Engineer there and he has over 20 years of
15 experience in chemical and biochemical engineering.
16 He's been at NREL since the early 1990s.

17 In the past six years or so he's
18 authored groundbreaking lifecycle assessment
19 studies related to biodiesel and ethanol
20 technologies. And his latest work involves an
21 evaluation of the sustainability of using
22 agricultural residues as a feedstock for fuel
23 ethanol production which includes understanding
24 the soil, carbon modeling and complete lifecycle
25 analysis to provide major source sustainability.

1 So let's hear Mr. Sheehan.

2 MR. SHEEHAN: Okay, as Rob indicated I'm
3 John Sheehan; I've been at NREL now for longer
4 than I've worked anywhere else, but it's been a
5 great place to be in terms of looking at biomass
6 energy as clearly, I think, one of the sources of
7 alternative energy that is, as my title implies,
8 more than just a bridge to a sustainable energy
9 future. It's actually part of that sustainable
10 energy future, and a substantial one at that.
11 Which I'll try to illustrate here.

12 My subtitle is thoughts on net energy
13 balance and other nagging questions about biomass
14 as a sustainable energy resource. The net energy
15 balance question for biomass and for things like
16 corn grain ethanol has been a point of confusion
17 and controversy for the more than 20 years that
18 certainly corn grain ethanol has actually been a
19 growing industry in the United States. That
20 debate continues today.

21 And I want to address some of those
22 questions and confusions that come up. So, in
23 particular, I'm going to give you about a ten-
24 second description of what a lifecycle analysis
25 is, and how you can use it to look at questions

1 like the net energy balance for a fuel, or carbon
2 balance or the net greenhouse gas emissions
3 associated with a fuel. And highlight one or two
4 other impacts that are out there associated with
5 biomass in order to answer this question of
6 whether or not biomass really is a viable and
7 sustainable energy supply.

8 So, lifecycle analysis. If you've ever
9 had to do one, you have my sympathy. It's a lot
10 of work. It's very complicated stuff. It is as
11 complicated a job as you want it to be in terms of
12 what are the things that you do and do not want to
13 include as you look at all of the energy and
14 resource and emission impacts associated with the
15 lifecycle of a fuel.

16 So, for biomass that can be going to the
17 forest to collect residues, or to the farm to
18 collect residues, or to the farm to grow energy
19 crops, all the way through to that end point use
20 when that vehicle, in the case of a transportation
21 fuel, is actually using your fuel.

22 The devil is in the details. And this
23 contributes to, I think, a lot of the problems
24 that we have today in publicly understanding what
25 is the energy value of biomass to our society. So

1 that's it for lifecycle analysis.

2 Now I'm going to turn to energy balance
3 questions. And I have a picture here of the 19th
4 century French scientist Sadi Carnot. I was going
5 to do a contest to see if anybody recognized him,
6 who, among a bunch of other people, is given
7 credit for having begun the process of formulating
8 what we now know today as the first and second
9 laws of thermodynamics.

10 I have a colleague at NREL who believes
11 that part of the problem of getting around to the
12 point where people can have an honest discussion
13 about the energy debate in this country is that we
14 need to require every citizen in this country to
15 take a course in thermodynamics.

16 (Laughter.)

17 MR. SHEEHAN: That's asking a lot. But
18 I think it's true. And interestingly enough, when
19 Carnot began to develop his ideas about what
20 eventually became thermodynamics, and in fact, he
21 had -- his whole framework for looking at the
22 problem turned out to be wrong, but he did such a
23 clear logical detailed job of looking at the
24 energy question that there's still a lot of value
25 in what he did.

1 And he didn't so much discover the
2 second law of thermodynamics, as he did assume it.
3 Because he knew that if you're going to produce
4 work, if you're going to move one source of energy
5 into a more usable source of energy, it's going to
6 cost you.

7 You have to lose something. And that
8 sort of no-free-lunch concept really kind of is
9 the predecessor to what became more formally the
10 second law of thermodynamics and what people talk
11 about as entropy.

12 So, what's that saying? For our
13 purposes in looking at turning biomass into fuel,
14 or anything else into a usable fuel, what it tells
15 us is that if you're going to go from one form of
16 energy into another more useful form you're going
17 to pay a price for it.

18 That is true for petroleum. And that is
19 also true for biomass. And it is true for all
20 forms of energy production. So it drives me crazy
21 when we constantly hear the old saw about biomass,
22 whether it's particularly related to ethanol, but
23 my gosh, it has a negative energy balance. Well,
24 it better, as does everything else.

25 The question really comes down to what

1 do you want to count, and what types of energy are
2 you interested in looking at. And that's what I
3 want to get into briefly here.

4 When we look at defining the net energy
5 balance in our life cycle calculations we
6 generally try to talk about what's the
7 nonrenewable component of that. Because from a
8 policy perspective that's what we're interested in
9 doing; we're trying to reduce our dependence on
10 nonrenewable or fossil sources of energy. Not
11 only because they're nonrenewable, but because
12 they contribute to climate change issues, as well.

13 And we want to be able to look at how
14 effectively are we using the renewable energy
15 component that's in that biomass.

16 And then this last category, which
17 really gets messy, is what's the total energy
18 balance or energy efficiency of technology looks
19 like. And total is a very messy term, because it
20 depends on what you want to count.

21 You can make the efficiency of a
22 technology look as bad or as good as you want
23 depending on what you do and do not include in
24 that energy calculation.

25 So, for our purposes the very simple

1 view of the net energy calculation, we focused
2 mostly on this question of how effectively are we
3 reducing or avoiding the use of nonrenewable
4 energy. So you have all these coal and oil and
5 natural gas inputs going into, in this case, a
6 lifecycle for producing and using ethanol.

7 And out of that production lifecycle is
8 coming fuel for your car and electricity. And
9 that ratio or that difference between those two is
10 what people are talking about quite often when
11 they refer to the net energy balance for a fuel.

12 So, here are some quick looks at results
13 that I've been involved in, or some colleagues of
14 mine have been involved in over the years looking
15 at the net energy balance question.

16 As I point out, if you look at the
17 gasoline net energy ratio, it's got to be less
18 than one. It's all fossil energy coming in.
19 There's got to be less fossil energy coming out in
20 its lifecycle. And it's, you know, give or take,
21 you know, whose study you want to believe, it's
22 something like 15 to 20 percent energy penalty for
23 getting petroleum out of the ground and into the
24 form of usable gasoline.

25 One of the latest published studies on

1 the net energy balance for corn grain ethanol,
2 work very nicely done and well documented work
3 done at USDA, shows that that energy ratio for
4 corn grain ethanol, at least a couple of years
5 ago, was on the order of 1.3 to 1. What's that
6 mean? It means for a unit of putting fossil
7 energy in, I'm gaining about 30 percent in usable
8 fuel energy. That is not a huge gain, but it is a
9 gain, and it's not a loss, as you'll often hear
10 portrayed.

11 Now, when you move to cellulose, when
12 you're using all of the biomass that's involved,
13 or all of the plant matter that's involved, you
14 can actually get a leveraging of fossil energy
15 that's more like 5 to 10 to 1. And that is why
16 cellulosic technology is seen as sort of that
17 technology to which we know we want to move the
18 current corn ethanol industry.

19 Okay. Again, results are very very case
20 specific. Not only are they dependent on what
21 type of material you're using to make your fuel,
22 what type of biomass you're using, but it depends
23 on where you're doing it, it depends on so many
24 factors that you have to be very very clear in
25 your understanding of what you're looking at.

1 And here you'll see a variety of results
2 for what is the net fossil energy input per mile
3 driven on ethanol, or on a fuel I should say, as a
4 function of different feedstock materials coming
5 in.

6 As you see, if gasoline takes roughly 6
7 megajoules of fossil energy to get you to drive a
8 mile in your car, that number drops to only 4
9 megajoules for corn grain ethanol and gets as low
10 as around 1 when you get into the cellulose.

11 Again, in 1998 I did a study on
12 biodiesel. Interestingly enough, the energy
13 balance for soybean derived biodiesel is much
14 better than the energy balance for corn grain to
15 ethanol. The biggest reason for that is soybeans
16 don't need nitrogen fertilizer. And nitrogen
17 fertilizer use on the farm is a huge source of
18 fossil energy demand.

19 Okay, now for my diatribe on energy and
20 the public, kind of coming back to my second law
21 of thermodynamics argument. I call this
22 particular slide the Pimentel phenomenon. David
23 Pimentel is a Cornell researcher who, for the last
24 20 years, has published repeated studies showing
25 how negative the energy balance for corn grain

1 ethanol in particular is.

2 And what I show here kind of helps you
3 to understand a little bit what's going on in this
4 debate. If you look at the published literature
5 over the last 10 to 15 years on this topic, one,
6 there is a lot of uncertainty about what this
7 number is. And some of the uncertainty is just a
8 matter of, you know, my methodologies aren't the
9 same as yours; my data source isn't the same as
10 yours. I looked at a different region than you
11 looked at. All sorts of reasons why these numbers
12 can vary.

13 But what the trend shows in the analyses
14 that have been done on corn grain ethanol, and why
15 the reasons there have been so many is because
16 people keep coming back to this question, is that
17 in the early days of this industry it did have a
18 negative energy balance in terms of fossil use.

19 You had to put more fossil in than you
20 could get out as fuel. But this is not an
21 industry that has stood still. It has actually
22 improved significantly in its efficiency. The
23 farming process has improved in its yield and
24 efficiency, and things like fertilizer production
25 are far more efficient than they used to be.

1 So, if you look at the two data parts at
2 the bottom for Pimentel, what you'll see is he's
3 sticking to an old set of data. And, in fact,
4 he's sticking to data sources we can't necessarily
5 always track down.

6 So here you get into the sort of
7 dysfunctional I say it's positive and he says it's
8 negative. It doesn't get the public anywhere in
9 their understanding.

10 Here's another example. Interesting how
11 today I've heard a lot of people use the term
12 wells to wheels, which is a pretty strange way to
13 describe the life cycle for biomass. But
14 nevertheless, that term has gained coinage as a
15 result of a very good study sponsored by GM and
16 Shell and a number of the oil companies and
17 automakers who brought Argon National Lab and a
18 couple of others to the table to look at the
19 energy balance questions for, and other life cycle
20 issues, for biomass. And actually all alternative
21 fuels.

22 And one of the results that got thrown
23 at us early on, we had an Assistant Deputy
24 Secretary for energy efficiency and renewable
25 energy, turn to the head of the Office of Biomass

1 and say, why the heck are we working on ethanol
2 when I'm looking at this study that says that
3 ethanol use is five times more energy to deliver
4 an amount of fuel energy than gasoline does. And
5 these are the numbers from that study.

6 When you look under the hood a little
7 more at what's in those numbers, what you see is
8 that almost all of that energy that they counted
9 on the biomass side was actually renewable energy.
10 And only a tiny fraction of it was fossil energy.
11 Whereas all of the energy used in processing oil
12 to gasoline was fossil. So there's really a five-
13 to-one ratio in the other direction for this
14 number.

15 But it's even more confusing. Why did
16 they end up with a number like that? Because the
17 people who sponsored the study firmly believe that
18 the energy content of the crude oil, itself, is
19 free. And therefore the embodied energy in that
20 fuel, itself, doesn't have to be counted in the
21 calculation. When you put that back in you get a
22 much much different type of result. In fact,
23 their result's more optimistic than numbers I have
24 generated.

25 So, now, total energy. I believe there

1 is a reason to want to look at the question of
2 what is the total energy required, what is the
3 efficiency of the total energy you're bringing in
4 and its use as a fuel. And what that includes for
5 me is all the energy it took to move biomass
6 around and process it. But also the embodied
7 energy in the biomass, itself.

8 When you look at it in terms of
9 efficiency what you see is biomass technology is
10 much less efficient than current refinery
11 technology is. And that shouldn't surprise
12 anybody because we have not had 80 to 100 years of
13 process development work going on.

14 We have now begun to look at these
15 questions in terms of how do we move toward the
16 types of efficiencies that you see in turning
17 crude oil into a usable fuel that you get in
18 today's oil refinery by combining different fuel
19 production and using all the elements of the
20 biomass to make your fuel.

21 I've about used up my time. On the
22 carbon balance issue what I really want to say is
23 where fossil energy goes so does carbon. And in
24 most cases what you see is biofuels are really
25 among the most effective reducers of greenhouse

1 gases because they participate in what the Deputy
2 Secretary called that virtuous cycle of
3 photosynthetically recycling carbon. So those
4 numbers generally do look good.

5 Got a couple other slides in here that
6 I'm going to skip that point out some problems.
7 Big problem for biomass, nitrogen. There is a
8 huge amount of nitrogen that is being emitted, and
9 I'm not talking about nitrogen emissions that are
10 worse, as we have heard today from some people, at
11 the tailpipe, but on a lifecycle basis nitrogen
12 emissions that are much -- that are an order of
13 magnitude higher at the farm than they are for the
14 entire lifecycle of gasoline production and use.
15 Those are issues that need to be solved.

16 The land use issues need to be solved.
17 But, coming back to my second law theme, there's
18 no free lunch here. And if somebody comes to you
19 and says I've got a perfect solution that has no
20 downsides, in my opinion you need to hold onto
21 your wallet, because I haven't seen a process that
22 comes out that way.

23 And I'll stop there.

24 (Applause.)

25 MR. WILLIAMS: Thank you, John, that was

1 very interesting and educational. I think a lot
2 of people will take -- and take this information
3 home with them for their business and debates with
4 other people.

5 Our next speaker is Ken Krich. He is a
6 Project Manager for Sustainable Conservation,
7 which is a nonprofit environmental organization in
8 San Francisco. He's currently working there
9 leading the dairy anaerobic digester initiative;
10 and in that role he was instrumental in getting
11 net metering for dairy digesters to pass in
12 California Legislature.

13 He's recently been appointed to the
14 Western Governors Association of Biomass, the
15 biomass task force, that is. And he participates
16 in the San Joaquin Air District's Ag Dairy
17 Subcommittee. And he is currently also Assistant
18 Director for the University of California,
19 California Institute for Energy and Environment.

20 So let's have Ken come up and speak
21 about environmental regulation and energy
22 generation in the California dairies.

23 MR. KRICH: So I work with Sustainable
24 Conservation. We're a nonprofit. We work to find
25 cooperative solutions to work with the dairy

1 industry and other land industries, landowners, to
2 improve their environmental performance, and
3 hopefully make some money for them at the same
4 time.

5 We work on composting, conservation; we
6 work with the California dairy quality assurance
7 program. We work on confidential nutrient
8 management programs.

9 So you've heard some of this stuff.
10 Dairies are the largest agricultural industry in
11 the state. We're the largest dairy state. These
12 cows that produce 120 pounds of waste per day also
13 produce 50 pounds of milk. And they only weigh
14 1400 pounds. So a lot of material goes through
15 those cows.

16 (Laughter.)

17 MR. KRICH: Dairies in California are
18 mostly in nonattainment areas, unlike dairies in
19 the rest of the country. So all kinds of air
20 quality issues get involved with the dairies.

21 Dairies have water quality impacts.
22 They produce nitrates and salinization. If it's
23 not properly managed the dairies can be a major
24 source of stream and groundwater contamination.

25 There are air quality impacts, VOCs,

1 particulate matter, ammonia. Dairies probably
2 produce about 1 percent of the greenhouse gas
3 emissions in the State of California. And that's
4 working on methane; we don't even know much about
5 nitrous oxide, but they also contribute to nitrous
6 oxides, that is N2O. And there are problems with
7 odors and flies.

8 As we've heard, former speakers have
9 talked about it, so I'm going to try to go quick
10 here on this part. We have these methane
11 emissions coming off of fresh dairies. They're
12 just wasted. They're producing greenhouse gases;
13 they're releasing VOCs. The digestion can enhance
14 and capture the biogas, which is mostly methane.
15 It can produce electricity or it can be upgraded
16 to what we call biomethane. That is a renewable
17 source of natural gas by removing the CO2, the
18 hydrogen sulfide and the moisture.

19 One little footnote here is 3 percent of
20 natural gas in the United States is used to create
21 fertilizer. And, of course, land-applied manure
22 is a substitute for chemical fertilizer if
23 properly applied.

24 So these digesters have some
25 environmental benefits. In the process of doing

1 that they run into regulatory issues, which is
2 what I'm trying to focus on here.

3 Dairies in California were free of
4 environmental regulations just a few years ago.
5 California agriculture had an exemption from the
6 Clean Air Act. It was the, I think, the only
7 industry in the nation that had that exemption.
8 (inaudible) in the '70s. There was a lawsuit
9 recently between -- Justice and the Center for
10 Race Poverty and the Environment against the USEPA
11 that said they needed to end that exemption. The
12 USEPA agreed and Senator Flores, and told the
13 state you're going to have about a 5, I think it
14 was like \$5 billion a year in highway funds you're
15 not going to get. So that got their attention.

16 And Senator Flores initiated the SB-700 which
17 ended that exemption.

18 There are new rules now for confining on
19 the feeding operations and the National Pollution
20 Discharge Elimination System. There are solid
21 waste issues in terms of permitting for compost.
22 And greenhouse gases, no regulations yet, but of
23 course there is some movement in the state to
24 start dealing with those issues, which, as I said,
25 dairies have a major impact there.

1 So let's talk about a couple of these
2 regulatory issues. One of the other programs we
3 do, it's -- conservation, it's what we call the
4 Partners in Restoration. There are a lot of
5 watersheds in the state where the landowners want
6 to do good things environmentally, but they find
7 there's ten different regulatory agencies with
8 different requirements, some of which are just
9 downright contradictory. And one of the projects
10 we try to do is try to figure out a way through
11 those things.

12 So, VOC emissions. The Air Board
13 determined that cows produce (inaudible) pounds
14 per year of VOCs, which they call ROGs in
15 California. This made dairies under the, now that
16 they were regulated by the Clean Air Act, a major
17 source of VOC emissions.

18 It turns out that number came from a
19 1938 study of methane emissions, not VOC
20 emissions, from a cow that was producing 20 pounds
21 of milk. So it was a very different kind of cow
22 than today.

23 So this became a big issue in the dairy
24 industry. So eventually a search was underway to
25 determine what is the proper emission factor.

1 But using that factor the dairies with
2 more than 1954 cows become a major source of
3 emissions and were required to initiate best
4 available control technologies on (inaudible) for
5 air emissions.

6 So the San Joaquin Air District proposed
7 that an anaerobic digester be required as best
8 available control technology for these large
9 dairies. So here we have a situation where a
10 digester may be required in certain situations,
11 and the South Coast District is making a similar
12 proposal.

13 Then you have the issue of NOx
14 emissions, as the landfill gas talk this morning
15 said, there are NOx emissions. Dairy digesters
16 weren't regulated in their engines until they're
17 just now going to become regulated. And the San
18 Joaquin Air District proposal of 50 parts per
19 million requirement for NOx.

20 But interestingly the Air Board, under
21 the SB-1298 guidance, said that 50 parts per
22 million was the best available control technology.
23 So now the best available control technology is
24 about to be the requirement for dairies unless
25 they have very small engines.

1 The Air Board based this target on
2 studying large (inaudible) 500 kilowatts and
3 larger. Most of the dairies are smaller than
4 that. And they're setting a target for 2007 which
5 is -- it's more like a central station at like 9
6 parts per million.

7 So, we see a problem for the dairies.
8 The hydrogen sulfide corrodes the microturbines,
9 prevents catalytics on the back end. It's
10 expensive to remove the H2S to the right standard.
11 Lean burn engines, which is what the landfills
12 use, are not available in that size range. The
13 smallest lean burn engine we're aware of is 180
14 kilowatts that a German Company, Deutz, uses.
15 They're about Deutz engines in the United States.
16 They have an office in Atlanta. There is, as far
17 as we know, one on a dairy in Wisconsin. We don't
18 know quite how it's working.

19 So, the farmers are going to find that
20 their life got more complicated. They're fairly
21 complicated enough to put in an anaerobic
22 digestion system because they're not electrical
23 engineers or plant engineers.

24 So the more complex the solution the
25 more the chance that the farmers are not going to

1 move forward. And in fact the current digesters
2 may be abandoned. The digesters that were built
3 in the 1980s largely got abandoned because they
4 were too complicated. What the practitioners have
5 determined is the simpler it is and the more
6 robust it is, the more likely the farmer is to
7 keep operating it.

8 So although NOx emission controls can be
9 put in, it's going to make it more complex for the
10 dairy farmer and more problematic.

11 So, as I said, how do you solve the NOx
12 problems? Well, work on the smaller lean burn
13 engines. I believe the CEC's PIER program is
14 going to do a search on 260 kilowatt Deutz engine.
15 We heard about that this morning. Find better and
16 more robust ways to remove the hydrogen sulfide.
17 Certainly we need research and development on this
18 area.

19 Go for a centralized digester, then you
20 move the gas to a centralized place where you can
21 put in a larger engine or more sophisticated
22 equipment. Of course, you could upgrade the
23 biogas to what we're calling biomethane,
24 essentially a CNG equipment product or a pipeline
25 gas quality product where you're not combusting

1 it, and under the NOx regulations.

2 So as we see the impact of the
3 regulations, the VOC regulation encourage the
4 digesters. The NOx regulation will discourage the
5 digesters. Greenhouse gas regulation, as it
6 existed, would encourage them a lot.

7 And then you have some complexities with
8 the Waste Management Board in terms of how you
9 compost the manure, what permits are required, and
10 if you want to use other waste streams.

11 So, what we come down to is that no
12 energy solution is perfect. You have, in
13 biodiesel for example, you have a lot of
14 improvement, a lot of (inaudible) but you create a
15 little bit more NOx. How do you evaluate these
16 tradeoffs? A lot of improvement in greenhouse
17 gases.

18 The VOCs, by the way, the studies that
19 they're showing is that the (inaudible) pounds is
20 probably a little high; from the studies, probably
21 come in a little lower. But it turns out most of
22 the VOCs don't come off the manure but come out of
23 the digestive process of the cows. They belch the
24 VOCs. Those are going to be hard to control with
25 a digester.

1 (Laughter.)

2 MR. KRICH: But the parts -- the manure,
3 the digester when it's combusted will pretty much
4 destroy them. It's great for odors. Odors are an
5 environmental problem even if they're not very
6 regulated. But then you have this issue of NOx
7 emissions. How do you trade it off? And what is
8 the tradeoff between NOx and VOCs?

9 There's new research on that
10 indicating -- I'm not a scientist, but I
11 understand it's a bit of an (inaudible) where that
12 tradeoff is, and the localized issue --localized
13 problem.

14 Nevertheless, we need to work on solving
15 this waste gas NOx problem because whatever I may
16 think about the tradeoffs, the regulations looks
17 like they're going to come down to a 50 parts per
18 million requirement.

19 So, we need to come up with
20 collaborative solutions where industry, government
21 regulators, environmentalists try to work together
22 to solve these problems. We're not a big believer
23 in adversarial solutions moving it forward,
24 because we tend to find people stick to one of
25 these tradeoffs and they think that's the one

1 that's important. And they got another tradeoff
2 for another one.

3 But we want to move forward on the
4 overall solutions to these air problems and
5 environmental problems. And regulations need to
6 work together and be coordinated so that we don't
7 have one regulation going one direction and one
8 going in another direction. But rather that the
9 regulators get together and come up with a
10 solution that moves the whole thing forward.

11 Because as we've heard many times today,
12 we can't afford to waste the methane and the dairy
13 biogas and the digester gas and then the natural
14 gas.

15 Thank you.

16 (Applause.)

17 MR. WILLIAMS: Thank you, Ken. You
18 bring up lots of important issues that are going
19 to require collaborative solutions amongst
20 industry and the regulators, especially.

21 Just a moment here. Yes, got the right
22 one. Our next speaker is Mark Nechodom. He comes
23 to you from the Sierra Nevada Research Center,
24 which is a unit of the U.S. Forest Service,
25 Pacific Southwest Research Station. He is a

1 social scientist there.

2 And before joining the U.S. Forest
3 Service he was a member of the faculty at
4 University of California at Davis.

5 Currently his research focuses on the
6 institutional and political dynamics of
7 environmental decisionmaking. And today he's
8 coming up to speak on environmental impacts of
9 woody biomass utilization. Mark.

10 MR. NECHODOM: Thank you. I was
11 thinking, one of the nice things I think on your
12 behalf of having to send our presentations in the
13 day before is you keep thinking of all these
14 slides that you really wish you had in your
15 presentation by the time you get up here. It's
16 better for you. I'm dangerous when I sit in the
17 audience with my laptop.

18 But a couple of things here. Jim Boyd
19 and Joe Desmond, I think, set things up really
20 nicely. And one of the slides I think I would
21 have included is something to the effect of it's
22 the economics, stupid. And that is we're looking
23 at essentially a number of public benefits that
24 are associated with biomass power or biomass
25 utilization in any number of forms. And yet we

1 don't count those very well.

2 And when the gentleman stood up and said
3 how about the billion dollar bucket, it's, you
4 know, one of the things that's on the table is how
5 do we essentially price the things that are
6 externalities that actually might be benefits.

7 So, I wasted a whole slide's worth of
8 talk on that, anyway.

9 I'm really grateful to John Sheehan, and
10 I really appreciate his work. I've learned a
11 great deal from John over the years. He explained
12 very clearly what lifecycle assessment is. And I
13 appreciate that, because it kind of sets up where
14 we're going today.

15 The main project we're working on here
16 is a lifecycle assessment of a very narrow pathway
17 in biomass utilization. And that is from forest
18 remediation where we have the fuel problems into
19 biomass power generation.

20 Oh, that's clever. I went right to the
21 end.

22 (Laughter.)

23 MR. NECHODOM: So we'll get a quick
24 preview of my presentation here --

25 (Laughter.)

1 MR. NECHODOM: Now I can just stop
2 talking and we'll go to the discussion. This is a
3 fairly familiar map to many of you. This was
4 developed during the early stages of the national
5 fire plan in which we were being asked by Congress
6 and the entire public where is the problem.

7 Now, I'm going to cheat a little bit,
8 and I know my forestry people would be a little
9 bit annoyed at me for saying this, but --

10 (Laughter.)

11 MR. NECHODOM: -- maybe I won't say
12 this. But the red stuff is basically where we
13 have forest ecosystems out of whack. Now, this is
14 a very complex analysis and I'm not doing it
15 justice.

16 The yellow parts are a little less out
17 of whack, kind of medium out of whack. And the
18 green is probably within whack.

19 (Laughter.)

20 MR. NECHODOM: Whatever that means.
21 Now, here's the problem. Most of the out of whack
22 ecosystems are out of whack for a whole bunch of
23 reasons. And when we say they're out of whack
24 what we really mean are the natural fire regimes
25 in those systems are really nowhere near their

1 historic range of variation. The vegetative
2 structure is not really in a sustainable pattern
3 as we understand it, et cetera.

4 These are some fairly gross
5 generalizations, but this is a terribly important
6 map because this is part of the billion ton
7 problem that John Ferrell was talking about
8 earlier on. The forest resources, that is just
9 the fuel loading alone, ignoring the forest
10 products industry and mill waste, accounts for
11 about a quarter of that 1.3 billion tons that
12 could be available.

13 So I'd like to frame this a little bit
14 because this is, I think, a very important way to
15 approach it. And I've got to tell you what my
16 bottomline is here. The essential drivers, in my
17 opinion, in our opinion, many of us, Forest
18 Service -- not representing the official view of
19 the Forest Service here. I have tenure so it
20 doesn't matter what I say, I suppose.

21 But the drivers here are really public
22 safety, amenity values, watershed protection and
23 ecosystem services or values, and I throw
24 biodiversity in there, or Endangered Species Act
25 kinds of actions, because these are the things

1 that are really driving forest policy now. It's
2 not about a timber industry.

3 Now, the solutions, Congress and the
4 public come to us constantly and say, well, how
5 bad is it really, how bad is it. And what are the
6 tradeoffs we have to make to solve the problem per
7 the laws of thermodynamics, thank you, John.

8 What's the return on the investment.
9 What if we do spend \$750 million this year of fuel
10 load reductions, do we get \$750 million worth in
11 return. It's a big question and many people are
12 asking it.

13 And the other question that's really a
14 political question is can some do well by doing
15 good. That is there are some interests out there
16 who basically just hate the fact that somebody
17 actually might make a buck off of the fact that
18 we're treating our forests. It's a huge political
19 controversy. I make no comment one way or the
20 other on it. We all know that that is one of the
21 big issues controlling the supply from at least
22 the federal lands, is we have to deal with a whole
23 bunch of politics to even deliver the biomass.

24 So there's a huge article of faith in
25 all of this, that in order to bring our forests

1 back into what I'm calling whack, we have to whack
2 them.

3 (Laughter.)

4 MR. NECHODOM: I knew I was going to say
5 that, I didn't mean to say that, but we have to
6 basically do some treatment there.

7 There's a quality about forest biomass
8 is it goes up in the air, it goes down in the
9 ground, or it goes out someplace else to be used.
10 It really can't go anywhere else.

11 But I want to also suggest to you that
12 from our perspective, from public lands management
13 in a fuel loading reduction framing, we have a
14 waste stream problem. We do not have an industry
15 creation problem. The problem is not to create a
16 forest industry. There is no doubt whatsoever
17 that infrastructure, capital investment, all of
18 that must happen in order for us to move the
19 biomass around. We cannot do it for free. But we
20 have a waste stream problem.

21 Now, of course that means that the waste
22 stream could be used for things like biomass
23 power. So we put some numbers together based on
24 some averages in this kind of new emerging
25 industry we call fuel reduction or forest

1 remediation, and we find that for an average
2 biomass plant -- I'm sorry you can't read those
3 labels very well, I'm afraid -- and average new
4 biomass plant, 7.5 cents a kilowatt hour is what
5 it takes to run it. Now we hear a range, 6 to 10,
6 but it's about 7.5 cents a kilowatt hour in the
7 California market.

8 And as you can see, transportation of
9 the feedstock is a major part of that.
10 Collection, processing and transport is the
11 killer. It's one of the reasons that one of the
12 solutions we're discussing is a \$20 a green ton
13 subsidy.

14 Now that I have said subsidy let me
15 suggest a different way of saying this. I would
16 really prefer not to use the word subsidy any
17 more. What I would really like to say is we are
18 purchasing a public good, or a suite of public
19 goods. That's what we're really doing with
20 subsidies. We need to transfer money from one
21 place to another, ratepayers, taxpayers, et
22 cetera, to another to achieve a public benefit.

23 Now, this is Greg Morris' work. He did
24 it five years ago, and I think it's the best stuff
25 there is, and it's one of the reasons he's on our

1 LCA team. And Greg shows a total benefit avoided
2 costs, compared to fossil fuel burning, across the
3 biomass power industry, of 11 cents a kilowatt
4 hour. And this is a very very conservative set of
5 numbers. You take the model apart and you find
6 that Greg has been very cautious in the
7 assumptions he's made.

8 That's a substantial amount of cash per
9 kilowatt hour. Let me ask you guys in the power
10 industry why aren't you getting that. Why not?
11 Well, we don't have market-like mechanisms that
12 would allow us to go down this list and a much
13 longer list and put prices on these benefits.

14 Now, I'm talking about crassly
15 monetizing ecosystem services. Let me be straight
16 with you. We're actually talking about putting a
17 price on things that people are a little reluctant
18 to negotiate.

19 But if you compare the 5.3 cents a
20 kilowatt hour, the retail value of power in the
21 California market 2002, after things settled down;
22 the cost of biomass generation in the second
23 column; Greg's numbers at 11.4, and those are
24 conservative. If we were counting more, I urge
25 you to note the sources and citations on these

1 things. It's basically California's Nechodom and
2 Mason, Morris and shamelessly hypothetical, but
3 this 15.22 cents was a very rough calculation we
4 made based on some studies of wildfire effects,
5 catastrophic wildfires, ten of them, in which we
6 analyzed or actually a group at Yale analyzed the
7 uncounted costs of those wildfires.

8 So, I think I'm going to skip this slide
9 because John did a great job of doing this.
10 Basically what it does is it forces you to think
11 very carefully to do a lifecycle assessment, very
12 carefully about every little niggling unit process
13 in the system. And to model all of that.

14 What we are doing is a little outside of
15 the normal community of lifecycle assessment
16 practitioners, and we are actually taking what
17 we're calling a 4E approach, economic viability,
18 environmental impact, energy efficiency and social
19 and policy effectiveness.

20 Let me emphasize that for our study in
21 lifecycle assessment for biomass to power, we are
22 excluding E4. We don't know how to model that.
23 We've got enough problems with E1 through 3.

24 This is how we're doing it.

25 (Laughter.)

1 MR. NECHODOM: Thought I'd let you
2 meditate on that for just a minute. I really
3 don't expect you to read that. But this is
4 actually the plotter paper piece that lays on the
5 conference table when we get together, and this is
6 probably iteration, major iteration number four.
7 And we are trying to basically map out the
8 conceptual model for the system.

9 This will be a little simpler.
10 Basically what we're trying to do is track energy,
11 environment and economics through a system, so you
12 have energy, materials and capital and costs. In
13 the wildland biomass treatment options -- you can
14 follow the little red arrows down through the
15 boxes -- what we're trying to do is say can we
16 model each one of the processes inherent in doing
17 a forest remediation treatment right down to the
18 buss bar. And we believe we can. And I think the
19 Energy Commission believes we can, because they
20 gave us \$2 million and we better spend it wisely.

21 Here's another way of showing you the
22 nature of the models, the conceptual framework
23 here. This can get a little confusing, no, not
24 can get, it really gets confusing because this is
25 really hard stuff.

1 We have in the upper left-hand corner
2 for you, module A basically is forest remediation
3 techniques. We're going to make some assumptions
4 about prescriptions, that is how much you're going
5 to remove from a given stand to achieve a change
6 in fire behavior under certain wildfire
7 conditions. We have to make a bunch of
8 assumptions in that territory.

9 We will compare that, probably mostly
10 theoretically, but based on as much data as we can
11 get, from real places in California. What happens
12 if you don't treat that. That is, what are the
13 costs associated with a large scale, catastrophic
14 wildfire. And I'm marching through definitions
15 and assumptions very quickly here. And you're
16 within your rights to interrogate me when we're
17 done.

18 We will basically then follow all of the
19 processes, machinery used, energy used, capital
20 investment costs, all the way through forest
21 remediation in the management of the biomass,
22 right down to transporting, processing at the
23 plant and then, of course, generating the
24 electricity and moving that electricity to the
25 grid.

1 This is huge. It's probably foolhardy.
2 But so far we're actually having a good time. So
3 here's the status of where we are, and you're
4 welcome to email me or call me and I can send you
5 a lot more information. I take it these
6 presentations will be available online anyway, on
7 pdf document.

8 So, we just got started. We're really
9 just getting underway. We have done the
10 conceptual mapping to our satisfaction. We have
11 both a technical and a policy advisory committee,
12 because as you can well imagine, in the policy
13 world our assumptions and our scenarios could
14 prove very useful in thinking through what some of
15 the policy options are. In recapturing public
16 benefits.

17 We're using a model called Umberto.
18 It's made in Hamburg, Germany. It's a process
19 flow model. And we expect to have at first a kind
20 of hand-cranked version of this ready for our
21 policy advisory committee in June, by July when we
22 meet.

23 So, welcome to email me or call me and
24 we'll send you more information. Thanks.

25 (Applause.)

1 MR. WILLIAMS: Thank you, Mark. I,
2 amongst a lot of other people, will be looking
3 forward to some of those results when they're
4 ready. Thank you.

5 Our final speaker on this panel is Mr.
6 Doug Wickizer, who comes to you from California
7 Department of Forestry and Fire Protection, where
8 he's been working there since looks like the mid
9 1970s, I believe.

10 Before that he worked with the U.S.
11 Forest Service, Region III. And he's currently
12 Department Chief for Environmental Protection,
13 Regulation and Forest Product Utilization.

14 And his topic is regional cooperation
15 for energy and environmental management.

16 MR. WICKIZER: Thank you, Rob. Good
17 afternoon. It's nice to see that being the last
18 as this point you'll soon get an infusion of
19 energy and a lack of carbon dioxide. So, --
20 forward with that.

21 What I'm speaking to is more of a
22 social, I think, than a technical issue. And it
23 sort of follows Mark very well in that case,
24 because it's blending more from the technical to
25 the social aspects of how we get things done.

1 When we talk to regional cooperation I'm
2 going to go through this rather quickly, because
3 we are limited with time. One thing I have
4 learned from the very beginning is that if we do
5 what we know we should do to begin with, our
6 initiatives will carry through fairly well. But
7 if we tend to use bad practices, I've seen that
8 result in shifting from initiative to luck. So
9 that's just a basic rule I think we learn from the
10 outset in cooperation, and that's really the bulk
11 of the message and what you'll hear at the end.

12 Biomass cooperation is more or less, the
13 extent of it depends more on the identify of the
14 stakeholders and the various needs and objectives.
15 You have a waste stream that's argued. On the
16 other hand I've heard it argued at the
17 Collaborative that that's not a waste stream, it's
18 a product. So I think we're still somewhat up in
19 the air on that.

20 It includes residues from agriculture,
21 municipal waste and urban waste. It has an
22 outcome of high end products and an outcome of low
23 end products.

24 Being a forester the high end products
25 I'm interested in are more of the logs and the

1 reconstituted wood products. Something that I
2 think may have been brought up in the other
3 technical session this morning of niche products.

4 I think there's a lot of room to include
5 that in where we're headed with the utilization of
6 biomass over the upcoming years.

7 Low end products, I got somewhat slapped
8 on the hand by a member of the audience earlier
9 for including electricity in that. But I think
10 that's also arguable, given the numbers that we're
11 seeing and how they flow over the range increases
12 and decreases depending on who's talking.

13 Fuels and compost bed, animal bedding,
14 worm casting, sod, plant bedding, pallets and
15 landscaping. Again, the niche concept, niche
16 market concept coming out there.

17 Who are these cooperators that we deal
18 with on these projects, and what do they have to
19 gain out of it? It's a wide variety of folks when
20 you get everyone in the room, you're looking at
21 yourselves, realistically. You're dealing with
22 all levels of government, you're dealing with the
23 industries, various industries, and they have
24 different objectives when you're putting a project
25 together.

1 You're dealing with the academics.
2 You're relying on research done by national
3 laboratories. And what you're doing is bringing a
4 body of these folks together to try to get
5 something done.

6 Why do they get together? What's to
7 gain? There's environmental values; there's
8 environmental gains that are made in these kind of
9 projects. The banners that we carry include
10 public health and safety, improved homeland
11 security. We've heard that brought forward with
12 the reliance on the fossil fuels.

13 Reduced fire hazard and reduced GHGs and
14 air quality. Waste disposal reduction issues.
15 Past management, I'll show you an example of that
16 soon. And argumentatively you get improved
17 wildlife habitat out of that, as well.

18 In California, I threw those slides
19 together just to demonstrate one thing, you know.
20 Those two black and white ones are Red River
21 Lumber Company from in the '40s. And the forest
22 looked a certain way in California at that time.

23 And if you look at the upper slide on
24 the right that comes out of Shasta County. That's
25 what the current forest looks like. It's quite a

1 bit smaller. And harvesting over time has caused
2 successional changes that we're having to deal
3 with in forest management. That part of that
4 management produces the biomass that's been
5 referred to earlier.

6 Examples of what we're dealing with on
7 an ongoing basis on cooperation is items like the
8 Biomass Collaborative in Oregon, in that this is a
9 regional effort. You're dealing with folks like
10 the Oregon Energy Trust. The U.S. Forest Service
11 has utilization teams that work with us on a
12 regional level. The National Renewable Energy
13 Laboratory.

14 Some that aren't there necessarily are
15 the California Climate Trust. Those are becoming
16 very reliant upon some of the work that's being
17 done with biomass for climate change impact
18 reduction, or GHG emission reductions.

19 Some of the project-specific issues that
20 we've had -- or some project specifics that have
21 come up in recent years, the Southern California
22 Pest Mortality, one we're closing down. I'll get
23 into that in a little more detail in a second.
24 Healthy Forests initiative is ongoing. Fire
25 hazard reduction, that 's the infusion of large

1 amounts of funds, both from the federal level,
2 referred to under Healthy Forests. And at the
3 state level with proposition 40 for water quality
4 protection, watershed impact reduction.

5 You're got issues coming out of national
6 EPA on blending coal and biomass. Again, to
7 demonstrate the idea of the climate and the
8 bioenergy overlapping you'll see that there's a
9 western carbon sequestration partnership that does
10 involve a number of the western states. And one
11 of the pilot projects we're doing involves the use
12 of biomass. I'll show you that again in a second.

13 You have the California Interagency
14 Biomass Task Group. I used the wrong name; Mr.
15 Desmond introduced that earlier. That's a newly
16 forming group that will be working that area.

17 And then for very specific examples,
18 something we're proposing to do in a cooperative
19 partnership is a very specific small generation
20 plant at one of our conservation camps, a megawatt
21 or less.

22 The examples, quickly on the examples
23 that we've had to deal with, first is one that was
24 kind of winding down, we're kind of -- the dust is
25 settling in southern California to an extent on

1 this one. Not completely, but it's a lot less
2 than it was.

3 It involved roughly three counties,
4 Riverside, San Diego and San Bernardino. You can
5 see from the photo that it had, from the photo and
6 the map, that it was an extensive area that it
7 covered. And the drought enabled insect
8 infestations. It became epidemic level. And it
9 impacted roughly 650,000 acres of land in that map
10 area is what's represented.

11 In that we had part of the Cooperative
12 that we've done in that arena is dealing with how
13 do we know how much is there so we know what to do
14 with it. So we spent quite a bit of time with the
15 USDA and NRCS and others in doing the inventory on
16 this.

17 It washes out to say approximately 2.8
18 million bone dry tons that are out there in those
19 mapped areas. And that's -- when I say within
20 those mapped areas, when we treated this we treat
21 it only with the concept of reducing highest risk,
22 areas of evacuation, power line clearance, et
23 cetera, that type of thing.

24 That 2.8 million bone try tons
25 represented about 220 million boardfoot of conifer

1 species, both of these. At the time that project
2 started, it was predicted at 100 percent
3 mortality. Weather changed, the climate changed,
4 we aren't there any more. But we came close.

5 What do you do when you're faced with a
6 situation like that? This is an example of a kind
7 of forced cooperation. It's a reaction to a
8 catastrophic event. Those are a little easier to
9 deal with. In this case the Governor proclaimed
10 an emergency; the state instructed all of the
11 agencies, called them all together and said
12 provide some regulatory relief and enable the
13 reduction of that risk and hazard out there.

14 Local communities organized very
15 quickly; they called them mass and fast, you know,
16 I got confused there and didn't know what letter
17 to put in front the a-s-t, but it all worked out.
18 And they worked very well together and they worked
19 very quickly. They were under a great deal of
20 pressure. Their action plan was initiated
21 probably within three to four months of when the
22 proclamation was declared by the Governor.

23 And again, just a quick list of those
24 areas that they listed as priority, or quickly
25 treated areas. And there was a great deal of

1 money put into that. And there was some return
2 out of it, and part of that came from a quick
3 study done by the USDA, ourselves and again,
4 others, to find out where we could put biomass.

5 How do we deal with it as a waste? And
6 how do we take other portions of it and turn it
7 into products.

8 A quick example of the scope of that,
9 just an example year, this last year. For a
10 three-county area there was roughly between
11 700,000 and a million green tons treated. That's
12 a significant amount of material to move.

13 Going from that I'm going to shift
14 formats on you here. This is more dealing with a
15 project that we're certain is going to occur. But
16 it's not, itself, implemented yet. Some
17 predecessors to it, such as the California
18 forestry protocols under the California Climate
19 Action Registry have been implemented. And
20 that's, again, going back to the Western carbon
21 sequestration partnership that's developed for
22 Washington, Oregon, California, Arizona and parts
23 of Nevada. That's a pretty far-reaching regional
24 cooperative venture. And it's actually working
25 quite well.

1 You can see a list of the cooperators
2 that are there. What the project's going to do is
3 to demonstrate three of the -- two protocols that
4 exist that we've already approved in California
5 under the Climate Action Registry of forest
6 management and then restoration of forest areas.

7 The last of fire management is one that
8 we're going to be working on to develop with this
9 demonstration project. It, in essence, -- funding
10 for that is federal grant dollars, \$1- to \$2-
11 million a year; it has state matching funds, as it
12 shows.

13 The environmental management of these
14 things is important, and it is to deal -- the
15 quicker you get all the partners onboard we find
16 the less dissatisfied the potential customers we
17 have. And therefore it's easier path to hoe with
18 the environmental documentation.

19 Operationally we're dealing with
20 nongovernmental organizations. It'll provide the
21 service of measurements and monitoring. Land
22 order will conduct the treatments and RC&Ds will
23 do the state project planning.

24 The last one I want to cover real
25 quickly is the Washington Ridge biomass

1 electricity project. Quickly, the material
2 removed from that WestCarb Association will be
3 turned into biomass in existing plants.

4 Washington Ridge is one we don't have in
5 hand; we've been working on for two to three years
6 in cooperation with the group you see listed
7 there. What we're trying to put in place is about
8 a 600 kilowatt combined heat and power plant at
9 one of the conservation camps. The purpose of
10 that is to demonstrate the usefulness and the
11 economic viability of distributed generation from
12 the 1 to 5 megawatt class.

13 The conservation camp project will use
14 15 to 20 tons a day. It's local source of fuels
15 from the fire hazard reduction treatments. About
16 340 operating days a year. And we'll have roughly
17 about 400 kilowatts of power to be able to sell on
18 that. That one chart is just the one estimate of
19 what that would cost.

20 A quick representation of the system
21 we're going to be working with. One of the
22 outcomes will be dealing with the concept of NOx
23 that was presented earlier.

24 Take home message that I have for you is
25 that it's a big world out there and we all have an

1 opportunity to work together. The more often you
2 take that, the more frequently you accomplish
3 something.

4 (Applause.)

5 MR. WILLIAMS: Thank you very much,
6 Doug. This is the end of this panel, and I would
7 like you all to give a big hand to the speakers.
8 And we don't have time for questions --

9 (Applause.)

10 MR. WILLIAMS: We're scheduled for a
11 break, and I think we should come back at 3:00 and
12 we'll get back on schedule. Come up and speak
13 with the speakers if you have burning questions,
14 and there may be a chance after the next panel for
15 questions. Thank you.

16 (Brief recess.)

17 MR. MATTESON: Good afternoon, we'll
18 draw them in as we go, I guess. You might find
19 yourself in key situations here. The first is
20 that you have a conceptual design on a new system
21 that you've been thinking about for some time.
22 You've completed your engineering; you've done
23 some work on biology if it is applicable. And now
24 you're on to the business of economic modeling and
25 financing.

1 And the financing is broken down into
2 the financing of your capital side, that is are
3 you going to finance a pilot plant or are you
4 going to go to a financing of capital full-scale
5 facility.

6 And then you have to insure that your
7 operating cash flows are going to be in existence
8 through the project time period that you've laid
9 out for your plan. Now, that's for the new.

10 For the existing you have an established
11 biomass plant, and you have an experience of
12 maintaining a feed stream. Your plant is
13 operating either in a test or in a production
14 mode. You have an economic track record. Now you
15 need financing for overhauls, upgrades and
16 expansion. And you need to insure your operating
17 cash flows continue.

18 We have three speakers here today to
19 address these financial and economic matters. And
20 the first one is going to be presented by Martha
21 Gildart. Martha is a colleague of mine in the
22 California Biomass Collaborative.

23 She started her career with the State of
24 California Air Resources Board in 1979 as a
25 student. And she was doing this while she was

1 working on her masters degree at UC Davis.

2 She then moved over to the Integrated
3 Waste Management Board and resided there for 18
4 years, and 13 of those were in the tire management
5 program.

6 And then she recently joined the
7 California Biomass Collaborative in November of
8 2003, and her responsibilities in that area
9 included data gathering and policy analysis.

10 Martha's going to talk to us today about
11 state incentives for biomass products and power.

12 MS. GILDART: Thank you, Gary. One of
13 the earlier speakers mentioned the need for
14 glasses, you know, it's hard to focus on the
15 audience and your paper at the same time.

16 I'm going to be giving a brief overview
17 today on some of the state's incentive programs.
18 In most instances on these slides I've listed some
19 of the websites for those agencies so that you
20 could pursue more information, contact them, find
21 out how to apply.

22 As Dr. Jenkins has mentioned earlier,
23 the Collaborative will be posting these
24 presentations on our website so you'll be able to
25 visit our website and download some information

1 and get contact information for other state
2 agencies.

3 Probably the leading agency in the State
4 of California for providing support to biomass
5 facilities is the California Energy Commission,
6 which coincidentally is our funding agency. The
7 main programs are the renewable portfolio standard
8 program, the renewable energy program, which is
9 divided between existing new and emerging
10 renewables, their Public Interest Energy Research,
11 the agricultural biomass to energy program and the
12 dairy power production program.

13 I'd say probably the most far-reaching
14 is the renewable portfolio standard program. It
15 requires utilities to increase their purchases of
16 electricity from eligible renewable energy
17 technologies. And that renewable includes many
18 other forms, solar, hydro, wave, et cetera, wind.
19 But it does include the biomass digester gas,
20 landfill gas and MSW conversion. It has to
21 increase at a rate of 1 percent a year to reach
22 the 20 percent goal by the year 2017.

23 There is also a state Energy Action Plan
24 which is trying to accelerate that development of
25 20 percent renewables by the year 2010.

1 Under the renewable portfolio standard
2 program the utilities hold competitive
3 solicitations amongst the various biomass energy
4 providers to procure eligible renewable energy.
5 And the Public Utilities Commission has
6 established a market price reference system that
7 is based on a combined cycle proxy plant for
8 baseload power, and on a combustion turbine proxy
9 plant for peak power.

10 And some of the contracts that might
11 come in above the market price reference may be
12 eligible for supplemental energy payments.

13 The other major program at the Energy
14 Commission is the renewable energy program. As of
15 July of last year the Commission had awarded over
16 \$690 million for various renewable projects. If
17 you caught Tony Goncalves' presentation earlier in
18 the morning he had quite a bit on the results, you
19 know, the amounts of moneys awarded, the kinds of
20 projects, how many megawatts came into being. And
21 I would urge you to look that up if you missed his
22 presentation.

23 So, in the existing, now this is for
24 facilities that are in operation, they're mostly
25 the direct combustion biomass power plants. Some

1 of them have been operational since the early
2 '80s. During the restructuring of the electric
3 industry many of them suffered financially. Many
4 of them even closed down or mothballed.

5 In an attempt to bring some of them back
6 up there were various incentive programs put into
7 place, and one that is current is the existing
8 renewable facility program. They have provided
9 almost \$192 million to a variety, not just biomass
10 plants, but the direct combustion biomass and
11 solar thermal facilities predominate. And there's
12 a website here where you can find additional
13 information on that. These plants have to fall
14 into the tier 1.

15 The new renewable facilities programs
16 provide financial incentives to encourage new
17 electricity generation projects that are most
18 likely to become competitive with conventional
19 technology. So these aren't really, you know,
20 light bulbs in somebody's head type of project.
21 It's more something that may not have been tried
22 yet in California, but has been proven elsewhere.
23 These projects that come online may also be
24 eligible for the supplemental energy payments for
25 the first five years of their generation to sort

1 of help them getting into the marketplace. In
2 some instances, there may be up to ten years
3 available for that.

4 So far the Energy Commission's held
5 three auctions where they have awarded funding to
6 over 81 projects of which 45 are online. The
7 supplemental payments of nearly \$40 million have
8 helped these 43 facilities operating, which
9 include two biomass, one digester and I learned
10 this morning from Tony, it's actually now up to 18
11 landfill gas projects. And, once again, there's a
12 website here for additional information from that
13 agency.

14 The last element of the renewable energy
15 program is the emergency renewables program. This
16 provides rebates to all grid-connected utility
17 customers for the purchase of renewable energy
18 generating systems under 30 kilowatts. The
19 majority of these are photovoltaic, wind, solar,
20 thermal, electric technologies, but they do
21 include fuel cells, among which they can be fuel
22 cells operating on renewable fuels, such as
23 landfill gas and digester gas.

24 Payments out of the emergency renewable
25 program have totaled over \$154 million. And the

1 rebates are calculated based on the size and the
2 technology of the project. And they can be
3 anywhere from 70 cents to \$3.20 a watt for the
4 capacity of the equipment. And there's, once
5 again, a website for additional information on
6 that program.

7 Looking more into the future the
8 California Energy Commission has a very extensive
9 program Public Interest Energy Research. It's
10 funding around \$62 million a year for a variety of
11 energy-related research.

12 One of the things they are looking at is
13 renewable energy applications that combine with
14 fossil fuel fired energy to provide peak capacity,
15 to increase reliability of energy systems, to
16 expand renewable distributed generation
17 technologies and provide more affordable
18 technology. So there are several projects there.

19 They also have an energy innovations
20 small grant program that provides up to \$75,000 to
21 small businesses, nonprofit organizations and
22 other such entities to conduct research into the
23 feasibility of new innovative energy concepts.
24 And they do this about once a year. The current
25 solicitation has just closed February 1st for the

1 application deadline; and July awards are
2 anticipated. Assume they will be continuing this.
3 You can, once again, check the website to see what
4 the next scheduled award will be.

5 One of the programs we heard about this
6 morning, and this is one that has sunsetted, is
7 the agricultural biomass to energy program. It
8 awards grants for a one-year period at the level
9 of \$10 per ton of qualified agricultural biomass
10 that the facility purchases to turn into energy.
11 The facility had to be operational in July of
12 2003. There was \$6 million allocated by Senate
13 Bill 704 to this program. They went through, I
14 think, four cycles of award, and when the last 1.4
15 million is actually paid out, then this program
16 will be fully expended. I think it might be very
17 interesting to see what the analysis is on the
18 success rate. And I think the Energy Commission
19 and the Legislature should be urged to consider
20 such programs in the future.

21 There was also discussion earlier this
22 morning on the dairy power production program.
23 And you've heard several people talk about the
24 various dairy digester efforts. This can fund
25 development of anaerobic digestion or gasification

1 projects on dairies. They are awarded as grants
2 that can cover up to 50 percent of the capital
3 costs of a biogas system; or they are provided as
4 electricity generation instead of payments at the
5 rate of 5.7 cents per kilowatt hour. So they've
6 had something like 14 projects that they've
7 approved.

8 Moving on now, the California Department
9 of Food and Agriculture has a rice straw
10 utilization grant program. And it provides grants
11 for up to \$20 a ton for the use of agricultural
12 biomass in some kind of processing for generating
13 electricity or for manufacturing or other kinds of
14 environmental performances such as controlling
15 erosion. It has a maximum award of \$300,000. And
16 they're funded at a level of about \$2 million.
17 And that's, as I said, through the California
18 Department of Food and Agriculture. And there's
19 also a website there where more information can be
20 obtained.

21 There's a program that has, rice straw
22 tax credit program which is trying to encourage
23 uses of the rice straw left over after the rice
24 harvest. There's up to about \$400,000 in credit
25 can be awarded each calendar year, and this

1 sunsets in 2007, to entities that purchase
2 California rice straw for such uses as biomass
3 energy or construction. The credit is against the
4 net tax in an amount equal to about \$15 per ton of
5 rice straw used.

6 The California Pollution Control
7 Financing Authority. This is a step away from the
8 kinds of grants and payments that we've been
9 talking about. They provide loans through the
10 small business pollution control tax exempt bond
11 financing program.

12 They are in the range of \$1 million up
13 to \$20 million for pollution control projects.
14 And they have defined that as including waste to
15 energy or biomass resource recovery. And the idea
16 that using the waste to generate electricity
17 controls the pollution that waste would otherwise
18 have created.

19 And this is through the State
20 Treasurer's Office that you can find information.
21 They were very instrumental in the early to mid
22 '80s in getting waste energy plants sited in
23 California.

24 The California Integrated Waste
25 Management Board once again has a different take

1 on it. They have purchase preference programs.
2 There is a program called state agency by recycled
3 campaign, and that requirements on state agencies
4 to buy recycled content materials when the price
5 meets certain criteria. That means recycled
6 paper. Caltrans is supposed to use recycled
7 materials like along roadways for erosion control
8 and, you know, grass seeding.

9 And the Waste Board actually tracks what
10 is bought and purchased. They have, for private
11 entities, or local governments, environmentally
12 preferable purchasing program where they list the
13 kinds of materials. They have a directory under
14 (inaudible) that's available for both these
15 programs. The entity can get their product listed
16 with the Waste Board as being recycled content,
17 and then it can be accessed by the state or local
18 agencies for purchase. And there's a website
19 there at the CIWMB for the recycled program.

20 The California Public Utilities
21 Commission has a self-gen program which is self
22 generation. It encourages customer-owned, grid-
23 connected renewable and distributed generation
24 systems. And this is an attempt to get folks, you
25 know, sort of generating electricity during times

1 of need, and then feeding it into the system.

2 Instead of payments of \$1 to \$4.50 per
3 watt, depending upon the kind of technology, and
4 it covers things like fuel cells, microturbines,
5 small gas turbines, IC engines, if they're
6 operating on renewable fuels, up to a capacity of
7 about 1.5 megawatts. And more information on that
8 is available at the PUC website.

9 And the net metering is something that
10 right now is available for the dairy biogas
11 systems sort of on an experimental basis. It
12 credits customer-owned generation capacity at the
13 retail electricity price. The idea is you use
14 electricity during a certain period of time that
15 your system generates it all, and it will meter it
16 back into the system or go through your meter in
17 such a way that it can read and pay you credits.

18 So what does this all mean? If you look
19 at the different pieces that the state has in ways
20 of providing incentives for biomass, there are
21 some programs that provide support for research
22 efforts, the PIER and energy innovations grant.

23 There are some programs that help with
24 capital outlays, construction costs, operation
25 costs, you know, whether it's a grant a loan or a

1 rebate. And these are emerging renewables, dairy
2 power, California Pollution Control Financing
3 Authority loans and such.

4 There are programs that help with fuel
5 purchase, so some of those have sunsetted.

6 There are programs that do provide
7 funding through energy payments; for the energy
8 you generate there is some kind of supplemental
9 energy payment.

10 There are also programs that help with
11 requiring entities to purchase the product that is
12 made, whether it's through a renewable portfolio
13 standard, through the net metering system, or
14 through something like the state agency buy
15 recycled campaign. And there are some tax credit
16 type programs.

17 So the question is does this cover the
18 needs of the industry. I'm not sure if you caught
19 Secretary Desmond's presentation a little earlier,
20 but he had a phrase that I liked. He said that
21 the state needed to create an environment
22 conducive to the development of biomass.

23 So I think we need to look at well, what
24 do we have, and what are the gaps. It seems to me
25 that a lot of the feedstock processing has not

1 been adequately examined, you know, whether or not
2 materials going to entities that do something
3 other than generate electricity should be eligible
4 for these sorts of incentives. Right now it seems
5 to focus only on the electrical provider.

6 I think long-term commitments are a
7 really big issue; that so many of these programs
8 seem to be started on an experimental phase, so
9 they last for a year or two, see what happens.
10 And then no one picks it up again.

11 And I think the funding levels really
12 need to match the costs of feedstock operation and
13 et cetera.

14 So, one of the things I would like folks
15 here to do; in your program you were given a light
16 blue sheet, it's the Biomass Collaborative survey
17 form for this year. Question number 10 is on
18 financing mechanisms. We'd really like to hear
19 from you what sort of creative ideas you have on
20 what might be something the state could pursue to
21 help get this industry going.

22 And that's all I have.

23 (Applause.)

24 MR. MATTESON: Thank you, Martha. She's
25 representing our staff today. She's the only one

1 of the group that is making a presentation. She
2 did very well I think. Very complete.

3 Our next presentation is going to be
4 made by Bill Hagy. And Bill is coming to us from
5 the rural business cooperative service business
6 programs. And he's the Deputy Assistant
7 Administrator for that program since July 1996.

8 He's been administering a combined loan
9 and grant for about \$6.7 billion. And he does
10 have a budget for this current year which is
11 around 1 billion. This is done through an
12 organizational structure that has three national
13 offices and 44 employees.

14 Through the years he's gained some
15 experience and some training in financial
16 management, and along the way he's picked up two
17 nice awards. He's the recipient of Vice President
18 Gore's National Performance Review Hammer Award
19 for his efforts in streamlining the business and
20 industry guaranteed loan program.

21 And he has received the Secretary of
22 Agriculture Honor Award in 2003 for superior
23 service to the Department in delivery of business
24 service programs.

25 I'm delighted to have Mr. Hagy talk to

1 us today about federal financing for biomass
2 development through the U.S. Department of
3 Agriculture's rural cooperatives program.

4 (Applause.)

5 MR. HAGY: Thank you and good afternoon.
6 I'm tickled to death to be here with you today.
7 When I left Washington, D.C. yesterday morning it
8 was beginning to spit snow with a forecast of
9 eight inches before night. So this is a treat to
10 be with you today. The weather is beautiful
11 outside.

12 As you're aware, an integral part of the
13 President's energy policy is renewable energy.
14 And within USDA we have a variety of programs to
15 the Farm Bill and other segments of USDA that
16 support renewable energy in rural areas.

17 Now I stress rural areas, because our
18 agency being (indiscernible) administration, we
19 have a rural mission. We do not provide
20 assistance in urban areas and I'll try to define
21 what a rural area versus an urban area is a little
22 later in the presentation.

23 The 2002 Farm Bill, and if you're
24 familiar with the Department of Agriculture we
25 have a farm bill every five years. We're always

1 starting on the next farm bill. The last farm
2 bill was passed in May of 2002, and in that farm
3 bill it had title 9, a new title of farm bill, and
4 that title was renewable energy.

5 There was a variety of authorities that
6 was authorized under title 9. Some of those
7 authorities have been funded, some have not. And
8 I'm going to share with you today two or three of
9 authorities that were funded through the farm
10 bill. And also, time permitting, share with you
11 some other programs that we have within the USDA,
12 especially in the mission area that I have
13 responsibility for, that has supported renewable
14 energy and specifically biomass development over
15 the past several years.

16 First of all, what is renewable energy?
17 It's biomass, geothermal, hydrogen, solar and
18 wind. It does not include hydro. There's a long
19 story behind that. But it does not include hydro.

20 I'm going to flip -- this is an old
21 presentation, I'm going to flip -- that was -- the
22 9000 (inaudible) authority has not been funded, so
23 I don't think there's any reason of us talking
24 about it at this point in time.

25 The authority that I have direct

1 responsibility for is section 9006. That's
2 renewable energy systems and energy efficiency
3 improvement program. What it is, it is a
4 nationwide program of loans, grants and loan
5 guarantees that are to assist farmers and ranchers
6 and rural small businesses in purchasing a small -
7 - in purchasing renewable energy systems and doing
8 energy efficiency improvements within their
9 business.

10 Now you may be asking what is a small
11 rural business. We've adopted a definition of
12 small business from the Small Business
13 Administration. If you follow the SBA they have a
14 definition for each type of industry that they
15 deal with. It's tied into gross revenues and
16 numbers of jobs. And about 80 percent of all
17 businesses in the United States right now meet the
18 definition of small business.

19 So we have adopted their definition as
20 our definition of small. Rural, it's any
21 unincorporated area and any incorporated area,
22 such as a city and town of 50,000 or less. Any
23 incorporated area greater than 50,000 and
24 urbanized area around that city is considered
25 urban for this program and a variety of programs

1 that we administer.

2 General provisions of this program. The
3 grant cannot exceed 25 percent of the total
4 project costs. Again, this is acquiring a
5 renewable energy system or doing energy efficiency
6 improvements. The combined loan and grant cannot
7 exceed 50 percent. You may ask, where can the
8 match come from. It can be another federal
9 source; it cannot be another federal grant source.
10 It can be another federal loan source; it can be a
11 state source; it can be a private source. It can
12 be cash provided by the applicant. And we do
13 consider some in-kind contribution as going toward
14 the total project cost and the matching funds for
15 the projects.

16 How do we go about administering this
17 program. It's been in effect for two years. It's
18 a partnership. We either need very little or have
19 no -- expertise within the department, especially
20 our part of the department with regards to
21 renewable energy.

22 So, within the USDA we formed the
23 partnership between rural development, the farm
24 service agency, which a lot of you are familiar
25 with, the natural resource conservation service

1 and the forest service and our sister department,
2 the Department of Energy, John Ferrell's group,
3 and the EPA, the AgStar group within the EPA.

4 What this group has helped us do,
5 they've helped us with the program awards, the
6 regulation development, the outreach and
7 evaluation of program activities. The Department
8 of Energy and EPA have done the technical reviews
9 for these awards the last two years. And I
10 envision they will be doing the technical reviews
11 for these awards for many years to come, because
12 again, we do not have the technical expertise to
13 administer the department without technical
14 expertise from EPA and DOE.

15 To give you an idea of the activity for
16 our program, and again it's been a program that's
17 been in effect for two years, this just shows the
18 awards for 2004, of those kind taken -- you can
19 see a part of it up there, committed to the future
20 of rural communities. I apologize for that. But
21 it is the combined totals for 2003/2004. There's
22 97 biomass for that amount of money. The 73 of
23 wind; solar of 8; geothermal 2; hybrids is a
24 combination of one or two, two or three of the
25 above. Total 184 awards made over the last two

1 years for \$41.2 million for system acquisitions.

2 For energy efficiency, 97 awards have been
3 made for \$3.3 million.

4 Now within California, you probably want
5 to know, how many of these awards were made within
6 California. Five of the biomass, five of the 97
7 biomass awards were from California, and they were
8 anaerobic digesters. And I think most of them
9 went to individual farmers to assist in developing
10 an anaerobic digester on their farm. And there
11 was one solar award. So there's six out of the
12 184 awards for systems came from the State of
13 California.

14 By the way, this is a very competitive
15 process. There is a lot more demand for the
16 program than there is currently dollars available.
17 Just as John Ferrell indicated this morning at
18 DOE. A lot of competition for these dollars.

19 For 2006 there's \$22.8 million in
20 discretionary funds available. We are going to
21 award you some (inaudible) this year. \$11.4
22 million will be a grant-only program. For the
23 last two years, in 2003/2004, it's been a grant-
24 only program for the full amount of money
25 available; that's been around \$23 million each

1 year. We're going to do it in two this year, 11.4
2 million for a grant program.

3 The notice of funding availability for
4 that grant program will go out in mid March and
5 will give applicants approximately 90 days to
6 apply. They have a window of opportunity of 90
7 days. At the end of that 90 days we will working
8 with the Department of Energy and EPA, and then
9 review the technical aspects of it, we'll review
10 the programmatic aspects of it, and make the
11 awards hopefully sometime early September if not
12 late August.

13 We are developing the final rules this
14 year that will -- the program will become
15 permanent, and upon the publication of this final
16 rule it will be a grant again, and a loan
17 guarantee program. We anticipate having the
18 regulation in effect by mid July. And we are
19 setting aside \$11.4 million of the authority this
20 year for a guaranteed loan program.

21 That \$11.4 million equals about \$600
22 million of loan level for this program. If we do
23 not use all the funds for the guaranteed program
24 this year, it will be used under the grant
25 program. We will not lose a dollar of these funds

1 because they're only available this year; they're
2 lost if not used.

3 The guarantee program is a unique --
4 which is a partnership of us and a lender. The
5 lender actually makes the loan. They originate
6 the loan, process the loan. They close the loan
7 and we, a federal agency, provide a guarantee on
8 any loss that might occur on that loan up to 80
9 percent.

10 Another program that was reauthorized in
11 the 2002 farm bill is section 9008. The purpose
12 of it is to support a research, development and
13 demonstration of biobased products, bioenergy,
14 biofuels and biopower. And you see the list of
15 eligible recipients. There's a long list of
16 eligible recipients. Institutions of higher
17 learning, national laboratories, federal research
18 agencies, state research agencies, private sector
19 entities, nonprofit organizations or a consortium
20 of two or more of the entities described above.

21 There is a matching requirement of 20
22 percent which most federal programs now these days
23 have matching requirements of a certain percent.
24 And a budget outlook of about \$14 million of USDA
25 and \$1 million, I understand talking to John

1 Ferrell, available through the Department of
2 Energy.

3 This is a program that is administered
4 jointly between the two departments. Last year
5 the Department of Energy had the lead on the
6 program. This year USDA. The solicitation has
7 already happened and closed. In talking to John
8 earlier today, there's been over 600 applications
9 received. So the competition for these limited
10 dollars are going to be very very keen. And John,
11 if I remember correctly, I think it's about 25 or
12 \$24 million total available last year. It's
13 around 15 million this year. So there's been a
14 cut in funding. And the application activity is
15 up.

16 Another program that I have
17 responsibility for administering is called a
18 value-added producer grant program. The farm bill
19 reauthorized this program. It's a pilot program
20 leading up to the passage of the farm bill. And
21 this program's purpose is to assist marketing of
22 value-added products.

23 Eligible recipients, independent
24 producers, agricultural production groups,
25 farmers, ranches, cooperatives who own majority-

1 controlled, producer-based business ventures.
2 That would be such entities as LLCs and et cetera.

3 There's a funding level of about \$15.5
4 million this year. There is a grant limitation of
5 \$500,000 per award; and smaller grants will be
6 given priority points this year.

7 There's a huge demand for this program.
8 We anticipate that the solicitation for
9 applications will be out sometime in the spring.
10 And last year there was about \$5 of application
11 for every \$1 available under this program. So,
12 again, a lot of competition for it.

13 Now, briefly I'd like to spend a few
14 minutes with you talking about other programs that
15 have been around for several years that are
16 supporting renewable energy, and specifically
17 biomass development.

18 They're broken down into two categories,
19 commercial vending and revolving loan funds and
20 technical assistance.

21 First of all I think it's very important
22 that again I emphasize our programs are targeted
23 to rural areas. Here on the screen we have the
24 definitions of rural area, depending on the
25 program.

1 The business and industry program at the
2 top, the rural business enterprise grant program
3 and the rural business opportunity grant program
4 are tied into the rural definition I gave you for
5 section 906, any unincorporated area and any
6 incorporated area of 50,000 or less.

7 And the intermediary -- program which is
8 a revolving loan program, a 1 percent program for
9 30 years, there is no statutory definition for it.
10 But we have adopted a regulatory definition of any
11 unincorporated areas and incorporated areas of
12 25,000 or less.

13 The rural economic development loan and
14 grant program is a program that's a partnership
15 with rural utilities, the rural electric and rural
16 telecommunication -- in which we provide
17 assistance to those entities to provide economic
18 and business development. And their definition of
19 rural is anything that's not urban, as defined by
20 the Department of Census.

21 So as you can see we have no one
22 definition of rural.

23 First of all, the rural business
24 opportunity grant program. Eligible entities,
25 public bodies, nonprofits, North American tribes

1 and cooperatives.

2 What does it do? It's a very broad
3 authority; it's been around since 1996. And it's
4 technical assistance for business development and
5 economic development. It has been used to date by
6 planning, it's been used to develop market studies
7 and feasibility studies for biomass ventures
8 throughout the United States.

9 The rural business enterprise grant
10 program. It's been around since 1985. And it is
11 a program again who the eligible recipients are
12 public bodies, private nonprofits and Native
13 American tribes. And it can be used for a variety
14 of purposes including revolving loan funds. But
15 the important thing here is there's no payback to
16 the federal government. As the money comes back
17 in, as the loans are made, we pay the O&M. The
18 money left over goes into the revolving fund for
19 them to re-lend. This is a very popular program.

20 And in addition to the revolving loan
21 fund, it has been used to develop market studies,
22 feasibility studies for a lot of biomass projects
23 nationwide. In addition, it can be used to fund
24 working capital. It can be used to acquire real
25 estate, acquire land to build the facilities on.

1 And infrastructure development to the facilities
2 such as water and sewer, fiberoptics eventually
3 for the business that's being located.

4 The rural economic development loan and
5 grant program again is the eligible entities are
6 rural utility and telephone borrowers. And I know
7 here in California you have several rural utility
8 borrowers that are actually borrowers of a rural
9 utility service within USDA.

10 These borrowers are the only ones that
11 are entitled to be recipients of these funds. A
12 maximum grant of \$300,000 can be available to the
13 utility; a maximum loan, zero interest loan of
14 \$740,000 can be awarded to a utility. We can
15 award a loan and grant combined to a rural
16 utility, so that's over a million dollars we
17 provide the utility. They're required to -- zero
18 interest the first time. As the money comes back
19 in, if it's a loan they pay us the zero interest
20 payment. If it's a grant, it's establishing
21 revolving loan fund. And as the money comes back
22 in it goes in the revolving loan fund, they do not
23 have to charge zero interest anymore. They can
24 charge a higher interest rate, which will help,
25 you know, rejuvenate the revolving fund.

1 Very popular program. This is a program
2 you're going to be hearing a lot more about in the
3 USDA because of the 2002 farm bill providing a
4 vehicle for a considerable amount more of funding.
5 And the funding for this program is not
6 discretionary funding. That means it's not
7 planned to the annual cycle that we have to go
8 through with Congress. It is a self-sustained
9 program.

10 Commercial lending. This is our
11 flagship program. Last year we had over a billion
12 dollars in this program alone. And this is our
13 business and industry guarantee program. Eligible
14 entities are individuals, corporations,
15 cooperatives, partnerships, basically any legal
16 entity, and I stress legal entity, can be an
17 eligible recipient of this program.

18 It's a partnership with the bank. The
19 bank makes the loan and we, the federal
20 government, provide a guarantee on that loan. And
21 if the loan, there's losses resulting in making
22 the loan, then we would pay up to a certain
23 percent of the loss. This limits exposure of the
24 lender, and this is a very popular program.

25 It can be used for working capital; it

1 can be used for machine and equipment; it can be
2 used for purchase of buildings and real estate; it
3 can be used for startup businesses as well as
4 existing businesses. It cannot be used to finance
5 a business that is still in the research and
6 development stage. We are looking at businesses
7 that are ready to go to commercialization of their
8 product that has been under R&D.

9 This program has been used considerably
10 to support renewable energy. Of the 82, and as of
11 I think last week there's 82 operating ethanol
12 plants in the United States, eight of those plants
13 have received financial assistance through the
14 program.

15 This chart shows you over the last four
16 years the amounts, the dollar -- the awards and
17 the dollar amounts of these various programs I
18 just described to you that have supported
19 renewable energy development, and about 99 percent
20 of this is biomass type renewable energy
21 development, with ethanol leading the way. And
22 some biofuel, biodiesel.

23 This is our funding for this year. You
24 can see the dollar amounts. I mentioned B&R
25 program had a billion dollars last year. We have

1 only \$600 million this year. We're going to run
2 out of money probably as early as July or August
3 this year. Next year the President is supporting
4 almost a billion dollar program again for the B&R
5 program. But we are going to have a shortfall of
6 cash or money available for this fiscal year. So
7 this shows you the funding proposed for this year.

8 How do we deliver our program? We're a
9 very decentralized agency. There's about 500
10 employees that work in the national office totally
11 with the new development. There's about 6000
12 employees that work nationwide. We have an office
13 in Davis. We have offices in counties and areas
14 that you live and work in.

15 Most of the authorities that I described
16 to you, the funds are allocated to the state
17 offices, and they have the authority for making
18 decisions at the state level of the awards. Now,
19 some of the program, because of the amount of
20 funds available is just not -- we just cannot
21 allocate the money, just not enough money to
22 allocate to the states, so there is a national
23 competition for those funds. And the section 106
24 is an example of that. That is a national
25 competition.

1 How do you learn more about our
2 programs? Go to our website. There's a lot of
3 information on the website about our programs,
4 about the energy programs. There's a link to the
5 Department of Energy and to EPA's programs with
6 regards to renewable energy, along with other
7 programs that we have. And I encourage you to
8 visit our website and become more familiar with
9 our programs.

10 About the end, and you know, I've given
11 you the phone number of our state office here in
12 California. This is our state office in Davis.
13 And they will be more than glad to answer any
14 specific questions that you might have about any
15 of the programs I've described today. And their
16 phone number is area code (530) 792-5800. That's
17 (530) 792-5800.

18 Thank you for your time.

19 (Applause.)

20 MR. MATTESON: Thank you, Bill. Very
21 complete.

22 Okay, we're moving on to coming back to
23 the State of California. And I'm delighted to
24 introduce to you a member of the California Energy
25 Commission, Pierre duVair. Did I do that close?

1 And Pierre started out getting himself trained at
2 UC Davis. And he took a PhD in ecology.
3 Interesting PhD title, it was "The Methods to
4 Determine Nonmarket Monetary Value of Natural
5 Resources and the Many Different Types of Services
6 that Natural Resources Provide." I think you'll
7 find in his presentation that his training is
8 carrying through.

9 He worked for about eight years for the
10 California Department of Fish and Game. And had
11 the responsibility for leading interdisciplinary
12 assessments of natural resource damages. He also
13 did some pollution incident managing and
14 assessment.

15 He then moved to the California Energy
16 Commission; became the manager of the climate
17 change program at the Commission in February 2001.
18 And in his current responsibilities he's in
19 greenhouse gas emissions accounting, inventory
20 protocols, climate change policy development and
21 analysis. He leads the Commission's effort to
22 provide technical guidance to the California
23 Climate Registry. And that is why we invited him
24 today.

25 Let us welcome Pierre.

1 DR. dUVAIR: Thank you very much for
2 that introduction, Gary. Good afternoon,
3 everyone. I'm the last speaker on the last panel
4 so I guess it's my job to torture you one last
5 time. And hopefully cannot put you to sleep on
6 the exciting subjects of accounting and economics,
7 even if it is related to greenhouse gases.

8 It's an interesting area, climate
9 change. It crosses pretty much all of our
10 divisions at the Energy Commission. We at the
11 Commission have been looking at climate change
12 since the mid '80s or so, late '80s. Been doing a
13 statewide inventory of greenhouse gas emissions.
14 And now we have within our PIER research program
15 an awful lot of research going on on that climate
16 science side of things.

17 So, I thought I'd find out, make sure
18 that everybody knows that global warming is all
19 about that hole over the Antarctic, right? It
20 amazes me when I go out in the public how many
21 people get things like the ozone layer and global
22 warming confused.

23 And I think it's a little unfortunate
24 that a lot of the public gets their science from
25 Michael Crichton more than they do the IPCC. But

1 such is our world right now.

2 This really is climate change here.

3 It's a lot more about rapidly retreating glaciers
4 like this one in Austria; 130 years you can see
5 how fast that one's moved. There's at least an
6 Arctic study out, I think we heard about that
7 earlier possibly, that eight nations documenting
8 the rate of change in the northern latitudes. And
9 it's pretty amazing.

10 I'm here to talk about greenhouse gas
11 accounting, though, not the climate science, which
12 is definitely a lot more fun. But the Registry is
13 a creation of the State Legislature. It's a
14 nonprofit organization. They allow their members
15 to voluntarily record their greenhouse gas
16 emissions. It was created in state statute by
17 Senator Byron Sher back in 2000, and it's in the
18 California Health and Safety Code.

19 It's a public/private partnership to
20 encourage emission reductions in its members. I
21 think the theory is if you can inventory and you
22 know what you're emitting, you can then learn to
23 manage it.

24 It's kind of a unique creation. It's a
25 nonprofit that was called for by the state, so.

1 The State of California is committed to giving
2 appropriate consideration to all of the certified
3 results of the members of this Registry if they
4 follow the protocols and get them independently
5 certified. And should we have a greenhouse gas
6 constrained future, these reductions that can be
7 documented through the inventories of these
8 Registry members will get some consideration for
9 early action.

10 The Registry has a number of goals. One
11 of them is to insure that their members are
12 building and creating very accurate entity-wide
13 emissions inventories. That's probably their
14 primary goal.

15 They also are very interested in
16 influencing the international and national debates
17 around registries. There hasn't been any
18 standardization yet of how to go about counting up
19 all the different greenhouse gas emissions, how to
20 set boundaries and all that. So the Registry --

21 MS. GILDART: Sorry to interrupt you.
22 They've lost the screen. They're working on it in
23 the control room. It's an EnergyStar energy
24 efficiency thing. It shuts off after a certain
25 amount of time.

1 (Laughter.)

2 DR. dUVAIR: I'm going to have some
3 words for my Air Board friends here.

4 (Laughter.)

5 MS. GILDART: -- rehook, so I don't know
6 if you want to continue or wait a couple --

7 DR. dUVAIR: We could take some
8 questions for our first two panelists maybe, if
9 you want to do that. It's usually a little
10 helpful to follow it.

11 MS. GILDART: All right.

12 MR. MATTESON: We'll ad lib here a
13 little bit then. Are there any questions for --
14 well, we can actually reach back even further,
15 because we didn't take questions for the first
16 group. If the presenters are still here we could
17 still entertain questions for them.

18 But are there individuals who would like
19 to address first for Martha Gildart's presentation
20 or Bill Hagy's presentation, if you'd like to come
21 on over to the mike and give us your name and we
22 will go forward.

23 MS. PERRY: Good afternoon. My name is
24 Heidi Perry; I'm the Community Liaison with the
25 Lassen National Forest.

1 My first question is for Martha. You
2 mentioned about the self-gen program. And it was,
3 that's the one with customer-owned systems and
4 rebates for customer-owned systems.

5 And a few years ago we were having some
6 trials with selling energy back to the grid for a
7 couple of small systems, and so my question is is
8 there anything in place in the state now that we
9 have a memorandum of understanding to sell power
10 back to PG&E or PPNL, or whoever the big grid
11 owners are?

12 MS. GILDART: As I understand it that's
13 not in place yet for all systems. It is
14 something, though, that's being advocated. I
15 think it's just certain digesters.

16 MS. PERRY: Okay. And second question I
17 have, if I may go ahead, is with Mr. Bill Hagy,
18 and you mentioned the rural business opportunity
19 grant, and you mentioned that public bodies were
20 eligible. What exactly is a public body? Can
21 that be like a high school, a county school
22 system? I mean could you just elaborate on that
23 for a little bit?

24 MR. HAGY: A public body would be an
25 entity that is recognized under state statutes as

1 a state type of organization, or a city or town is
2 considered a public body, too, by our definition.
3 So a school district, depending on how they're
4 organized, could be considered a public body.

5 An economic development arm of the State
6 of California could be considered a public body.
7 It's a very broad definition.

8 MR. MATTESON: Thank you for those
9 questions. Are there any others for those two
10 speakers?

11 Okay, we'll reach back into the prior
12 group which had Fernando Berton, I don't know
13 whether he's still here. John Sheehan and Ken
14 Krich are here. Mark, are you here? And Doug,
15 are you still about? Good. Okay, so if you have
16 questions for Ken Krich or Doug Wickizer, or have
17 any -- yes, we have one. Good. Come down.

18 DR. HUGHES: I think this is for Doug.
19 Regarding the California program and the southern
20 California insect, I was trying to relate the
21 number of tons to the \$225 million, and came out
22 with a (inaudible) dollars per ton number. I
23 thought I was using the wrong number of tons. Do
24 you have that number to get some idea of how much
25 this program paid per ton?

1 MR. WICKIZER: It didn't pay on a per-
2 ton basis. It was not a per-ton basis paid. It
3 was funding that went to the local government. It
4 was grants that came from, in the case of the
5 USDA/ Forest Service, it went to the counties,
6 themselves, and then they funded within local
7 government grants to those that did the actual
8 work or removal.

9 There was also a good share of the money
10 that was considered matching for that grant came
11 out of the work that was done by Southern
12 California Edison in removal of trees that were
13 hazardous to their lines or to residences where
14 they had service hookups.

15 So, there was no per-ton basis. It was
16 actually just a lot of money funneled into local
17 government to resolve a crisis situation.

18 DR. HUGHES: Do you know what fraction -
19 - I think it was 2.8 million tons. Do you know
20 what fraction of that got removed or thinned out?

21 MR. WICKIZER: There is a report that
22 will be put out by the USDA/Forest Service. There
23 was a consultant obtained by them to do a followup
24 report, which will be released in probably a
25 month. And that would be available through their

1 San Rafael office, through Bruce Goins.

2 The direct answer is somewhere between
3 10 and 20 percent. There was a couple of
4 interesting things that did happen in that removal
5 process. As tipping fees increased at the local
6 landfills, it became more advantageous for the
7 landowners to go ahead and take a loss on selling
8 the logs and shipping them north.

9 So there's a little less in avoided
10 costs that was learned out of that project.

11 MR. MATTESON: Any other? Oh, good,
12 please proceed.

13 DR. CALDWELL: I'm Jim Caldwell from
14 E3Regenesis. Question for Ken Krich. You were
15 talking about dealing with the digestate after the
16 biodigestion process is done. And reapplying it
17 to the soil.

18 And one of the issues, I know, with just
19 direct application of the manure to soil is
20 phosphorus and potassium overloads the soil. And
21 needs to be managed according to what's in the
22 soil already and how it's needed.

23 If you take a biodigestate and put it
24 out on the soil wouldn't you have the same
25 problem?

1 And I think there are some other uses
2 for that digestate that could be reprocessed.
3 But --

4 MR. KRICH: I'm afraid that's not
5 something I'm very knowledgeable about, so sorry.

6 DR. CALDWELL: Okay. Thanks, anyway.

7 MR. MATTESON: Please come to the mike.

8 MR. REESE: Hi, Phil Reese from the
9 Biomass Energy Alliance. Question for Mr.
10 Wickizer. Your slides said that in the three
11 southern California counties that have the dead
12 tree problem you took out between 700,000 and a
13 million tons.

14 MR. WICKIZER: That was 2004 only.

15 MR. REESE: My question is what was done
16 with all of that?

17 MR. WICKIZER: That's the part we didn't
18 put into the explanation. Again, that'll be part
19 of the report by the U.S. Forest Service. But
20 roughly the majority of it, the higher value
21 material went north to several of the sawmills in
22 central and northern California.

23 There was a lot of the material that was
24 used locally for pellet stock, compost,
25 firmaculture, a lot of low-value products. There

1 was fuel wood, of course. Kind of a mix of
2 products that came out of that.

3 A good share of it, initially I'd say
4 probably 5 percent of it at the end was put
5 through the burners. They had air curtain burners
6 that went up in that area that the local landfill
7 or waste management districts were using to
8 dispose of that material. And they disposed of
9 around 250 to 600 tons a day for the initial month
10 to two months that the action was started down
11 there.

12 Soon that became too much of a burden
13 for those local waste management districts to
14 handle; it had gone up to somewhere around 1500
15 tons a day. And at that point is where that
16 avoided cost point I mentioned to you, where they
17 raised the tipping fees. And the tipping fee was
18 sufficient to force some of that material back
19 into the dimension lumber market.

20 MR. REESE: But the slash was simply
21 burned in the open?

22 MR. WICKIZER: The slash was treated
23 otherwise. That could be chipped and distributed.
24 It could have been piled and burned under the
25 right weather conditions. Or it could have simply

1 been scattered. And that would have been
2 dependent upon the individual landowner.

3 Now, you have to ask the individual
4 forest also, as to what their choice was in
5 treating their slash or debris.

6 MR. REESE: The point of my question was
7 we've talked for some time about the possibility
8 of using the forest thinnings in the generic term
9 as fuel for biomass plants to turn into energy.

10 MR. WICKIZER: Um-hum.

11 MR. REESE: I gather from what you said
12 that none of this was turned into energy.

13 MR. WICKIZER: There was a good share of
14 it that went to Delano and to the Imperial Valley
15 plant. I forget the name of it. The Colmax --

16 (Parties speaking simultaneously.)

17 MR. WICKIZER: But the material that was
18 hauled there was delivered for zero value. It was
19 zero value fuels to those facilities. And as I
20 said, it was again a cheaper means of disposal.

21 MR. REESE: Okay.

22 MR. WICKIZER: Than using -- paying the
23 tipping fees.

24 MR. REESE: Right. Those facilities
25 paid the transportation costs, yeah.

1 (Laughter.)

2 MR. REESE: Okay. Thank you.

3 MR. MATTESON: Any other questions? I
4 noticed Fernando Berton has joined us. And if you
5 have any questions regarding the Integrated Waste
6 Management Board's -- sustainable vision, you
7 might raise them at this time before he walks out
8 the door.

9 If not, that looks like we've completed
10 our questions. I do have an amendment or an
11 addition to a response that was addressed to Ken
12 Krich. Do you want to address that? Our
13 Executive Director may have a few words on that.

14 DR. JENKINS: I'll just say a few words.
15 There was a question about application of digester
16 digestate to the soil. And I think the Dairy
17 Manure Collaborative is addressing this with Jamie
18 Liebman's group out of San Francisco EPA, is that
19 correct, Ken?

20 So I think if you wanted to talk to
21 Jamie that that would be an answer to that
22 question. I think there are some potential
23 improvements that would occur as a result of that.
24 But there is some further information that is
25 available, and if you want to talk to me

1 afterwards I'll try to get you a reference to
2 that.

3 Dara wants to address that? Sure.

4 MR. MATTESON: Please give your name and
5 then go ahead.

6 MR. SALOUR: Dara Salour with RCM
7 Digesters. And I just wanted to address that
8 briefly. Yes, the nutrients do need to be
9 accounted for when they are applied to the soil.

10 However, the digestion process does pre-
11 mineralize the nutrients so that they're no longer
12 in their organic form and they're more easily
13 taken up by the plants.

14 To what extent, we don't have enough
15 data on that, as yet. But it does have some
16 effect.

17 However, it's important that a dairyman
18 have a nutrient management plan for application of
19 their digestate to the land that they have and
20 that they're using. Thank you.

21 MR. MATTESON: Thank you. As you can
22 see, our EnergyStar computer has revised its
23 program.

24 (Laughter.)

25 MR. MATTESON: And we are now ready to

1 proceed with our presentation.

2 DR. dUVAIR: A round of applause for the
3 technicians here. Well, modern technology can
4 come through on occasion, so.

5 As I was talking about some of the goals
6 of the Registry, and again this is a voluntary
7 nonprofit organization that was created by the
8 State Legislature. They're there to try and help
9 organizations figure out their total level of
10 greenhouse gas emissions. They've developed
11 protocols, and I'll get into a little bit more
12 about the protocol development process, and what
13 types of protocols they have.

14 But I was mentioning, they're also very
15 interested in influencing the international debate
16 about greenhouse gas accounting, which is still
17 evolving fairly rapidly. The Registry is
18 interested in promoting a consistent approach to
19 reporting greenhouse gas emission that a number of
20 states are looking at registries at the state
21 level. The federal government has, through the
22 U.S. Department of Energy, the 1605(b) program
23 it's called, they've been taking voluntary
24 emissions reporting since, I believe, 1994, '95.
25 So it's probably the longest running greenhouse

1 gas registry there is.

2 And so our state registry is interested
3 in coordinating with other states and federal and
4 international organizations on standards.

5 And then finally they're also interested
6 in trying to recruit a diverse membership,
7 everything from cement compounds, the large
8 greenhouse gas emitters down to the small, you
9 know, just office-based businesses and the mom and
10 pops. So it's a pretty big goal to try and
11 develop protocols that work for, you know, grocery
12 stores and then British Petroleum.

13 But they want to try and reach all types
14 of organizations throughout the economy. Energy
15 is used by everyone, and the more that all sized
16 organizations know their emissions, the more they
17 can manage and potentially reduce.

18 If you decide to join the Registry you
19 have to report your entity-wide greenhouse gas
20 emissions. And there's really two levels of
21 reporting. It would be all of your activities
22 were in California, or your U.S.-wide. And then
23 there's interest in global emissions reporting.
24 There's a lot of desire to try and capture the
25 whole entity, and not just pieces of the entity in

1 terms of their emissions.

2 You have to report CO2 the first three
3 years. And it gives you some time to work on your
4 emissions of the other greenhouse gases that are
5 covered in the Kyoto Protocol, if you've got them,
6 methane and N2O and some of the HFCs and PFCs,
7 things like that. So start off with CO2 and then
8 you've got to pick up the other greenhouse gases.

9 The Registry has developed some
10 protocols and you've got to create your inventory
11 according to those protocols. And then you have
12 to have it independently certified by
13 organizations that are approved by both the state
14 and the Registry.

15 Here's a list of some of the members.
16 It may be a little too small to read, but my
17 organization is up there. And we have, I think, a
18 whopping 31 tons of direct emissions, which is not
19 very big. It's I think five cars that the
20 Commissioners own.

21 (Laughter.)

22 DR. dUVAIR: And some of them don't keep
23 very good records, in fact, I think we failed our
24 2002 inventory because one Commissioner didn't
25 keep real good records. So, it's pretty

1 challenging actually, and you can get at your
2 mobile fleet emissions through either the mileage
3 on the vehicles or the fuel. So you've got two
4 ways to get at it. But you've got to either know
5 the miles or the fuel use.

6 But in this list you can see, this is
7 only a partial list, there's some small ones and
8 some large ones. British Petroleum and Southern
9 California Edison would be some pretty large CO2
10 emitters. And then you get some small office-
11 based groups like NRDC and the Better World Group.
12 So they mostly, the small office space, had
13 indirect emissions through the electricity they
14 consume.

15 This Registry does look at both direct
16 and indirect emissions, which is one of the more
17 innovative parts about it.

18 The Registry has developed some forestry
19 protocols that Doug Wickizer from CDF is
20 intimately familiar with, a lengthy process. And
21 a lot of technical experts participated from a
22 number of stakeholder groups.

23 The types of projects that the protocols
24 address are reforestation, conservation-based
25 management, and then straight conservation. And

1 if you have questions on these protocols we'll
2 bring Doug up to help explain it. Because I
3 didn't participate as much in that protocol
4 development effort. And it is a fairly
5 complicated protocol to tackle first to get into
6 the whole carbon cycling and baselines and things
7 in the forestry sector.

8 But they've got a protocol that's out on
9 the street and ready for some trial use by
10 members. I don't think they've got anyone yet.
11 Hopefully someone like Mendocino Redwood, I know
12 who was very active in the protocol development,
13 might try and test the protocols out.

14 Now the state statute which was Senate
15 Bill 812 called for just California forestry
16 projects only. I think there's some interest, if
17 larger organizations come in, to broaden it beyond
18 California forestry projects. You have to have a
19 permanent conservation easement. You've got to
20 promote and maintain native species. All of this
21 is in statute. It's not the Registry, itself, but
22 these were called for in legislation.

23 And then there has to be an
24 additionality test. You have to be going above
25 and beyond what the forest practices rules would

1 be requiring of you to record a project with these
2 protocols.

3 The Registry has developed a power
4 utility sector protocol, as well. The forestry
5 and the power sector are what's called industry-
6 specific protocols. They've got a general
7 reporting protocol that fits any particular
8 member. But then if you were in the power sector
9 or the forestry sector you've got to use these
10 additional guidance.

11 They haven't gotten to projects yet in
12 the power sector, but they do have entity-wide
13 protocol for the power sector. And it's both a
14 reporting and certification protocol.

15 They've developed some efficiency
16 metrics which should be very interesting. And the
17 Registry is predominated now by both power
18 generators and utilities. If you saw on the
19 member list all of the three big IOUs and Calpine
20 and some of the munis like SMUD have all joined.
21 So, they've got great representation in this
22 sector; this is a big emitter in California of
23 greenhouse gases. Not as much in the rest of the
24 country where there's a lot more coal, but
25 nonetheless we burn a lot of natural gas with CO2

1 as a byproduct.

2 These efficiency metrics, they'll have
3 to report what's their greenhouse gas emissions
4 relative to their generation, as well as relative
5 to the electricity they deliver. And that
6 includes purchases to the extent they can find out
7 what the GHG footprint is of their electricity
8 purchases. And we do import about 20 or 30
9 percent. My understanding it's fairly challenging
10 to try and get at the greenhouse gas footprint of
11 imported electricity. But it's something that the
12 Energy Commission is actively looking in, and
13 we've had an interest in that area for a long
14 time.

15 The additional guidance here is focused
16 mostly on stationary combustion, process emissions
17 and fugitive emissions in the power sector. But
18 it also looks at indirect emissions from energy
19 purchase and consumed by the generators and the
20 utilities.

21 A number of protocols that the Registry
22 would like to develop a whole lot of protocols.
23 They're somewhat resource constrained. But some
24 of the top priorities are they do want to get to a
25 project-based protocol in the power sector. The

1 utilities are familiar that there's a --

2 (Laughter.)

3 DR. dUVAIR: Wow. Well, it's just got a
4 mind of its own.

5 The utility power sector is one sector
6 that's really fairly forward looking on future
7 carbon constrained world, so they're very
8 interested in protocols, standardized protocols
9 for project-based accounting.

10 Landfill methane recovery, conservation
11 tillage, solid waste management, dairy methane
12 captures, cement, oil and gas, and in particular
13 within the oil and gas natural gas transmission
14 and delivery, are all sectors that the Registry
15 would like to potentially move towards protocol
16 development.

17 A lot of it will depend on the members
18 that come forward and the types of funding
19 opportunities to get for which of these protocol
20 development efforts will move forward first.

21 A little bit about the carbon market.
22 There are finally emerging carbon markets. The
23 Chicago Climate Exchange is the U.S.'s version of
24 a pilot program at greenhouse gas trading. As of
25 January '05 here's some statistics for what's been

1 traded there. The high they hit is about \$2 a
2 ton, that would be a metric tonne of CO2.

3 Then if you look on the far right the
4 volume only in the month of January trading about,
5 you know, 65,000 tons of an '03 vintage, or 52,000
6 tons. So it's not a huge volume here in the U.S.
7 being traded yet. But, again, it's a limited
8 group that's involved with the Chicago Climate
9 Exchange.

10 It was a pilot program started through
11 the Kellogg School. They just wanted to try and,
12 you know, we have experience with trading sulfur
13 dioxide and NOx and a lot of companies wanted to
14 get some experience and try it out. And the
15 Chicago Climate Exchange is where that's
16 happening.

17 Sometimes it likes to go and sometimes
18 it doesn't. I think we're stuck. No, I'm trying
19 both the arrow and the -- well, I'm not sure what
20 to do here. Any ideas?

21 (Pause.)

22 DR. JENKINS: Can you finish without it?

23 DR. dUVAIR: I can.

24 DR. JENKINS: All right.

25 DR. dUVAIR: We've giving up on this

1 here. I'm just going to finish from over here.

2 It's dangerous over there.

3 (Laughter.)

4 DR. dUVAIR: I've got a few slides here,
5 and these are all, I'm sure, posted on the
6 website. So if you're interested in these
7 exciting slides, so they will be available.

8 I do want to mention that some states
9 are moving into the greenhouse gas arena. The
10 State of Oregon has a benchmark and offset
11 requirement for power generation. And so when a
12 new project goes in they've got to either
13 implement some greenhouse gas mitigation projects,
14 themselves, or fund the Climate Trust in Oregon to
15 do it. And so they're actually a U.S. buyer of
16 carbon reductions.

17 And one of the projects they've --
18 there's a list of websites that I have on the last
19 slide, too, that will take you to some of these
20 places. But the Climate Trust in Oregon, it is
21 funding some reforestation and some riparian
22 habitat in southwest Oregon. And there they're
23 requiring the project developer to demonstrate the
24 increase in the carbon stock on the 12 acres.
25 They have to have a third party come out and

1 periodically verify it. They have to have an
2 agreement on the real property so that if
3 ownership of the property changes over, that they
4 continue the project out 120 years. And that
5 project is looking to, I think, sequester about
6 1600 metric tonnes. That's just one example of a
7 state-level project where we have a state buying
8 greenhouse gas mitigation reductions.

9 The largest arena, of course, is with
10 the Kyoto Protocol and some of the flexible
11 mechanisms under that.

12 Are we back again?

13 DR. JENKINS: You are back.

14 (Laughter.)

15 DR. dUVAIR: This is much like what the
16 Kyoto Protocol was, it's on, it's off and --

17 (Laughter.)

18 DR. dUVAIR: -- it's back on. But the
19 button might not be. There we go.

20 The clean development mechanism, many of
21 you may be familiar with this. This is where that
22 the industrialized countries that agreed to cut
23 their emissions can be funding projects in
24 developing countries that have these designated
25 entities. And they can get the greenhouse gas

1 reduction credits and do less reductions at home.

2 And so that's one mechanism that finding
3 where a market for greenhouse gas reductions is
4 occurring. And, of course, there's also what's
5 called a joint limitation where one industrialized
6 country can fund projects in another
7 industrialized country. I believe most of these
8 are taking place in eastern Europe and some of the
9 economies in transition there.

10 So those have been launched as
11 officially February 16th, many of you may know, is
12 when the Kyoto Protocol finally took effect, after
13 it was started in 1997.

14 There's some basic steps toward
15 measuring a project's greenhouse gas reductions.
16 You got to do a project identification; figure out
17 the boundaries of the project; how far upstream do
18 you look in terms of, you know, where the
19 reduction's occurring. A number of challenging
20 issues, you know, what's the eligibility of a
21 project.

22 Once you've sort of got the project well
23 identified, then you need to get into the
24 quantification of it. A number of tricky issues
25 here with a lot of projects in terms of, again,

1 establishing the appropriate baseline, the
2 appropriate levels of monitoring, a number of
3 tests that you have to get at in terms of
4 documenting that the project really is additional
5 to what would have been done otherwise.

6 Then you move it up, monitoring and
7 verification phase of a project. Varying levels
8 of monitoring and verifying of those reductions.
9 And then finally this official designated entity
10 within the country that you're doing the project
11 has to sign off that the reductions were real and
12 did equal the verified reductions.

13 The CEM executive board approves these
14 methodologies. And they've approved now, I guess,
15 about 19 of them I saw on their website yesterday.
16 They've got some approved methodologies for
17 baseline and monitoring for biomass, in this case
18 for replacement of what would have been
19 uncontrolled burning. Manure management systems;
20 landfill gas capture, the gas-based cogen, and
21 then a variety of animal waste system
22 improvements. That's just an example of some of
23 the 19 methodologies they have approved.

24 There is an international organization
25 by the World Resource Institute and the World

1 Business Council for Sustainable Development.
2 They have what's called the GHG protocol. That's
3 generally regarded as sort of the best approach.
4 It's a fairly broad approach to the greenhouse gas
5 accounting. The California Registry is based on
6 these principles and tries to be consistent with
7 these GHG protocols.

8 They have corporate accounting and then
9 they have a project-based accounting. And they're
10 still working on the project-based accounting.
11 And some of the principles that WRI has for their
12 inventories, whether it's a project inventory or
13 an entity-wide, is that it has to be relevant. So
14 that means they have to be the emissions of the
15 entity for which the inventory is being developed.
16 And that the sources that are measured have to be
17 useful to the creator of the inventory.

18 Completeness is important, captured all
19 your greenhouse gas sources and all your
20 activities of the organization. That's where
21 boundaries come in, as well.

22 Consistency, that you approach these
23 sources in a consistent methodological that allows
24 for comparison across different inventories or
25 different companies that have the same sources.

1 Transparency. You really need an audit
2 trail if you want to get credit for a lot of these
3 down the road. Somebody's got to be able to come
4 in and reproduce your results for documenting your
5 assumptions, your emission factors, all of that
6 goes into transparency.

7 And then accuracy. You don't
8 systematically over-estimate or under-estimate the
9 emissions.

10 The project-based protocol, which
11 probably is of most interest to people here,
12 biomass side of things, is still sort of a work in
13 process. The key thing they're trying to come up
14 with, is there a way to standardize or come up
15 with a typology for different types of projects
16 that reduce greenhouse gas emissions.

17 How to set boundaries for, you know,
18 what belongs to a project and what changes can be
19 directly attributable to a particular project.
20 Establishing baselines. Again, what would the
21 future have been without that project. And then
22 additionality tests, you know, would that project
23 have been done anyways. And then leakage. If
24 this project gets implemented do the emissions
25 just occur somewhere else.

1 And a couple more slides. Europe is
2 where the carbon market really has taken off.
3 Here's a graphic off the pointcarbon website. And
4 it's hit about \$12.50 a ton there. And you can
5 see that the volume just in the last couple of
6 months when Kyoto took effect -- the European
7 Union has an emission trading system, took effect
8 in January.

9 And so there compare \$12.50 to what was
10 trading on our Chicago pilot of about, you know,
11 \$1.70 or \$2 a ton. And then the volume here, 35
12 million tons traded in one week. So the volume
13 has really picked up there.

14 Just a few concluding points. Carbon
15 markets are here finally. And they're certainly
16 launched in Europe, and they look to be emerging;
17 both Canada and Japan are very interested in
18 greenhouse gas emissions trading and that
19 flexibility mechanism, the Kyoto Protocol.

20 Some states are moving forward. They're
21 funding offset projects. Others, like in the
22 northeast, are looking at a cap and trade system
23 in their power sector. And then project-based
24 accounting for greenhouse gas reductions for many
25 types of projects is still in its early childhood

1 or infancy. Not all these tons are, quote,
2 created equal. And you really need to get to the
3 bottom of the accounting that's gone into what a
4 project really does do. But they're developing
5 very fast.

6 And that's it.

7 (Applause.)

8 MR. MATTESON: Thank you, Pierre. Any
9 questions for Pierre? Okay.

10 We'll move on to our wrap-up and
11 summary.

12 DR. JENKINS: We have just a few minutes
13 here if there were further questions for this
14 panel or for the previous panel. Are there any
15 questions?

16 Doug, if you'd like to come over to the
17 microphone, please.

18 MR. WICKIZER: Yeah, Doug Wickizer for
19 Pierre.

20 (Laughter.)

21 DR. dUVAIR: Be nice, Doug.

22 MR. WICKIZER: I am, I am. Just for
23 example, for a little more specifics on how the
24 accounting is working for bioenergy within the
25 utility protocols, is it traded as a net zero

1 or --

2 DR. dUVAIR: Yeah, I think in the case
3 of the IBCC protocols for the national inventories
4 and I'm not exactly sure how it's handled in the
5 1605(b) program. I'm pretty sure that any
6 biogenic sources are treated as not counted in
7 your inventory essentially net zero because the
8 CO2's just taken out of the atmosphere and just
9 returned through biogenic sources.

10 MR. WICKIZER: In the California
11 protocol does it, in essence, reduce the amount of
12 GHGs produced per measure of energy?

13 DR. dUVAIR: I'm not following that
14 question.

15 MR. WICKIZER: If you add zero to the
16 emissions site and you're adding additional output
17 to the energy site, your per-unit relationship
18 changes.

19 DR. dUVAIR: You're going to have lower
20 greenhouse gas emissions per kilowatt hour,
21 megawatt hour produced from renewables?

22 MR. WICKIZER: Right, that's what I'm
23 asking, is that -- how are they trading it in the
24 California protocol.

25 DR. dUVAIR: Yeah, I think any kind of

1 biogenic source within biomass is treated as a
2 zero. So that isn't counted. So, if Southern
3 California Edison has a biomass facility they'll
4 be counted, they won't count the carbon from
5 burning that biomass in their inventory.

6 We've recommended to them that they
7 track the biogenic sources of CO2 so that they at
8 least know how much carbon they're emitting.
9 There is a temporal aspect, you know, if you're
10 taking a lot of that carbon out of storage off the
11 landscape and then using it to make electricity,
12 you're probably returning that carbon to the
13 atmosphere quicker than Mother Nature would have.

14 But at least I think the standard
15 protocols right now are to treat biomass as net
16 zero.

17 MR. WICKIZER: Okay.

18 DR. dUVAIR: And I know geothermal's got
19 some CO2, as well, emitted, and potentially a
20 little bit of methane. So they're more
21 challenging to try to figure out what the natural
22 rates of geothermal resource emissions would have
23 been versus the anthropogenic influence on those
24 geothermal resources.

25 MR. JONKER: Yes, Pete Jonker of Kelly

1 Space and Technology. If emission reductions of
2 CO2 could be verified, why would an American
3 company that has reduced CO2 not trade in the
4 European market? Why would they ever go to
5 Chicago? It's six times the price.

6 DR. dUVAIR: Well, right now the U.S.,
7 if you're a company with just emissions and
8 activities in the U.S., you're not party to the
9 Kyoto Protocol, so that company wouldn't really be
10 eligible to utilize the flexible mechanisms from
11 the Kyoto Protocol, because we're not signatory to
12 -- we haven't ratified the Kyoto Protocol treaty.

13 So our U.S. companies that have just
14 activities in the U.S. don't need emission
15 reductions under that international treaty. Now
16 if you're duPont or something like that, where
17 you've got a lot of factories in Europe, you're
18 going to have some binding potentially commitments
19 to reduce in Europe.

20 And there the problem is that reductions
21 in the U.S. aren't recognized under the joint
22 implementation, because we're not signatory to
23 that.

24 Now, the one area where U.S. companies
25 can trade is when a country has its own domestic

1 target separate from the international Kyoto
2 treaty. And a number of countries do have that.
3 And those countries may be willing to buy tons
4 reduced in the U.S.

5 But, again, if they can't use it against
6 the Kyoto target, and they're having a tough time
7 reaching their Kyoto targets, they're not going to
8 be buying emissions reductions from the U.S.

9 MR. JONKER: However, if they knew that
10 the Chicago market is only two bucks, they might
11 be getting a good deal. And CO2 is supposed to be
12 a global pollutant, so if I'm a European company
13 and I need CO2 credits I'd come to the United
14 States.

15 I mean the fact that we are not a
16 signatory to the Kyoto treaty shouldn't matter at
17 all, if CO2 is truly a global pollutant, it
18 doesn't matter where it's emitted. Right?

19 DR. dUVAIR: That's true. But, again,
20 there's two big issues with that. The one issue
21 is that the U.S. hasn't taken on -- well, we did
22 sign on to reduce to 7 percent below 1990, but we
23 haven't ratified it through the Congress.

24 So, our, you know, our reductions, we're
25 not playing by the rules of the game for that

1 international treaty.

2 MR. JONKER: That's why I premise my
3 question by saying if reductions could be
4 verified, and if there's agreement on
5 verification, it seems to me that American
6 companies have an incentive to reduce their CO2
7 emissions whether we're signatory or not.

8 DR. dUVAIR: Yeah, absolutely.

9 (Parties speaking simultaneously.)

10 DR. dUVAIR: And that's why actually a
11 lot of large, you know, power companies are
12 starting to document, and that's why they've been
13 reporting to the 1605(b) program since the mid
14 '90s, because there may be some value in these
15 reductions, whether it's against a future
16 requirement to reduce in the U.S., or they may be
17 marketable.

18 But, again, the second question comes
19 to, you know, how well documented are those tons
20 in the CCX versus how well they're documented, you
21 know, in the European system or under the --

22 (Parties speaking simultaneously.)

23 MR. JONKER: -- probably the biggest
24 hurdle.

25 DR. dUVAIR: And that will be the

1 biggest hurdle. CCX, and again, they haven't
2 really made a lot of their verification protocols
3 publicly available. So it's been kind of a --
4 it's been in development for a year or two, and
5 then it's been kind of a black box to a lot of us
6 who have been interested in how well documented.

7 But that's where the ton is not
8 necessarily a ton, so.

9 MR. JONKER: Well, we got some work
10 here.

11 DR. dUVAIR: Yeah.

12 MR. KOEHLER: Hi, Tom Koehler,
13 California Renewables Partnership. How is the
14 Registry dealing with mobile emissions? Or your
15 thinking on that? For instance, today in
16 California 6 percent ethanol, roughly 3.5 million
17 tons of CO2 unaccounted for. No regulatory
18 mechanism to account for that -- so I'm curious to
19 know what your thoughts are on that.

20 DR. dUVAIR: The general reporting
21 protocol of the Registry does require a member to
22 estimate all of their mobile sources. They have
23 what's called a de minimis, up to 5 percent of an
24 inventory. And for somebody like SMUD or Southern
25 California Edison, their mobile fleet next to

1 their generation of CO2, it's probably going to be
2 de minimis.

3 But for many of the other companies
4 their fleet of vehicles could easily be a
5 significant source of their direct emissions.
6 They have to estimate those emissions.

7 The best way to do it is from fuel use.
8 There's a number of emission factors there where
9 they can estimate the carbon from the fuel used.

10 Is your point that right now there's no
11 easy way to credit additional use of ethanol?

12 MR. KOEHLER: Well, on -- it doesn't
13 seem like there's a mechanism to take account for
14 the fuel that is not necessarily being used in a
15 company-wide fleet, but is being sold to the
16 public. So, you know, today, call it 900 million
17 gallons; tomorrow it could be more or less. But
18 there's no mechanism to account for that CO2
19 impact.

20 DR. dUVAIR: Right. The one thing that
21 these firms can do, if they develop -- or if they
22 purchase say an alternative vehicle fleet, and
23 they can document that they've cut their gasoline
24 use and cut their carbon emissions by, you know,
25 by some x percent, just by documenting by the

1 changeover in their fleet, if they went to an E85
2 fleet or whatever, they can quantify these. And
3 then down the road again, this Registry, the state
4 is going to give consideration to these early
5 reduction actions. So they can get some credit.

6 MR. KOEHLER: Well, like, for instance,
7 bp's a member of the --

8 DR. dUVAIR: Right.

9 MR. KOEHLER: Okay. So every day
10 they're selling gasoline to the public, not their
11 fleets but to the public.

12 DR. dUVAIR: Um-hum.

13 MR. KOEHLER: Where is that accounted
14 for? And some of that gas -- most of it in
15 California today has ethanol. Tomorrow it could
16 have more ethanol, or it could have less. Where
17 is that accounted for?

18 DR. dUVAIR: Well, right now it's not.
19 And, again, most of these emission reduction
20 requirements came from the past, like for the
21 criteria pollutants, they fall on the direct
22 emitter. And so the direct emitter of bp's
23 gasoline is going to be the person driving that
24 car.

25 And so ultimately it's going to depend

1 wherever the climate policy wants to go towards.
2 There's some efficiencies to control greenhouse
3 gases at the upstream level, at the refinery
4 level, or the importation level.

5 Until those kind of systems are
6 developed and we have much clearer direction on
7 climate policy there is no mechanism in place
8 right now to credit additional use in ethanol.

9 Again, like I say, for companies that
10 want to get out in front, want to displace a lot
11 of their fossil fuel use, to document that the
12 reduction in their greenhouse gas from like an E85
13 fleet.

14 MR. KOEHLER: Right, right.

15 DR. dUVAIR: Yeah.

16 MR. KOEHLER: Okay.

17 DR. JENKINS: Thanks, Pierre. We're
18 going to wrap this session up at this point and
19 we're going to move on. I want to thank Gary for
20 moderating the last session there.

21 Our wrap-up speaker is George Simons.
22 George is program manager for the PIER renewables
23 program in the California Energy Commission. And,
24 George, do you want to come forward and tell us
25 what we learned today.

1 (Laughter.)

2 (Applause.)

3 MR. SIMONS: Thanks. And I'll try to
4 keep this short. I'm sure everybody would like to
5 leave.

6 I do want to make a couple points. This
7 is the second annual forum. In the first annual
8 forum we got together and we learned a lot about
9 what the potential was. And by the way, most of
10 us have been doing this for a long time. I've
11 been involved with biomass since 1981. So these
12 are not unique forums, okay. We've heard a lot of
13 this information before.

14 But, you know, in some instances this
15 was really the first time it was focused
16 specifically on California. We found out what the
17 potential was. Of course, the potential in
18 California is huge. There's 72 million bone dry
19 tons per year of this stuff. And we don't really
20 tap into it. We tap into very small amounts.

21 We learned in the last year's forum
22 about what accomplishments we had to date. And we
23 learned about some problems, okay. And we got
24 some feedback from folks from that last year's
25 forum. One of the feedbacks was that -- one of

1 the points was that you guys focus too much on
2 power. You know, you're focusing too much on
3 power production; you're not really focusing on
4 bioproducts and on biofuels, okay.

5 We also got feedback tat one of the
6 number -- the highest priority issue that we
7 probably face as an industry is the fact that we
8 don't have a state biomass policy, okay. We have
9 conflicting regulations.

10 So in this year's forum one of the
11 things that you notice we did is we created
12 parallel sessions, okay. We are looking more at
13 bioproducts. We are looking more at biofuels.
14 So I think, you know, we are making some inroads
15 here.

16 And we got the Governor's Office. You
17 guys got the attention of the Governor's Office,
18 okay. Last year's forum, I think, and the fact
19 that people from the outside went to the
20 Governor's Office and said we really do have a
21 problem in California, okay.

22 So, Joe Desmond comes to the forum this
23 year. And we are getting attention. And I think
24 we're going to have some action out of the
25 Governor's Office. This is the third time that

1 we've had a state agency working biomass group,
2 okay. I think this time, third time hopefully is
3 the charm.

4 I think there's a number of things we
5 really have to address, but I think we're going to
6 end up doing that.

7 Desmond talked about what occurred in
8 the environment that's conducive to the growth and
9 development of a biomass industry. He said it's
10 not because special interests necessarily getting
11 to the Governor, but it's because we're a virtuous
12 cycle. I've heard biomass called lots of things
13 before, I've never heard it called a virtuous
14 cycle. But I think that's fine. I think we can
15 wear that. I think that's very true. I think we
16 are a virtuous cycle.

17 I think, though, if we're so virtuous
18 how come we aren't making money, right?

19 (Laughter.)

20 MR. SIMONS: So maybe it's not so good
21 to be virtuous, maybe you need to be a little bit
22 on the dirty side to win the game here.

23 I had to jump between sessions, so I
24 went over to the bioproducts side of things. And
25 I walked into a really provocative presentation by

1 Kim Kristoff. He talked about the holy wars. And
2 he was jesting, but he was talking about the
3 conversations that would come up with his
4 brothers-in-law who work in the petroleum
5 industry.

6 And yet he made a very serious point
7 about the fact that gasoline costs \$6 a gallon to
8 make. And yet it's \$2 a gallon at the pump.
9 There's something going on there, he pointed out,
10 that we need to understand this in industry. We
11 need to take advantage of it. We've got to level
12 the playing field.

13 So how are we going to do that? You
14 know, and this same point, by the way, was raised
15 on a technical front by John Sheehan. It's the
16 net energy that comes from renewable resources, it
17 greatly outweighs what we get from fossil energy,
18 five to one in some cases. But that's not
19 recognized; it's not monetized.

20 So how do we level the playing field?
21 And Joe Desmond said, well, you have ten points in
22 the Governor's energy policies, and we have to
23 build off those ten points. We have to somehow
24 figure out how to make those ten points that the
25 Governor is behind to really benefit the biomass

1 industry side.

2 And on the biopower side we heard that
3 there's a number of developments that are ongoing
4 that we can take advantage from. I was talking to
5 John Ferrell. I sat just amazed at how much DOE
6 is doing, you know. We take advantage of that
7 stuff, but we don't take enough advantage of it.

8 Similarly, you know, we have small
9 modular stuff coming up; we have landfill gas
10 technologies coming forward. We need to somehow
11 really capture those. To capture those things
12 effectively means not just capturing the
13 technologies, but capturing the economic benefits.

14 If we provide environmental and societal
15 benefits, we need to be rewarded for that, okay.
16 We need to capture that in some fashion that makes
17 it profitable for the biomass industry in
18 California to provide those benefits.

19 I think that comes back -- and I'm going
20 to jump through some of the points I wanted to
21 make because, again, I'm sure we all want to go
22 other places. But, in order to really do that, to
23 capture these things, to monetize them, we have to
24 charge ourselves, and we have to charge this state
25 energy biomass group with coming up with several

1 very critical points.

2 The first is that we have to really
3 greatly reduce the delays and the hassles in
4 deploying biomass projects and technologies across
5 California. Again, I've been doing this since
6 1981. During the 1980s we saw the biomass
7 industry in California leap from 50 megawatts to
8 close to 980 megawatts. Tremendous growth in a
9 decade. The growth that we've had in the biopower
10 industry in the past five years has been
11 minuscule, even in the past decade.

12 There's been some growth in landfill
13 gas; there's some, you know, minor growth in
14 digesters. But largely we haven't had the great
15 strides that we had in the '80s. And, again, we
16 are a virtuous cycle and we provide tremendous
17 benefits; and we need to somehow make certain that
18 we can create an environment that allows us to get
19 those economic benefits.

20 And part of it is going to be figuring
21 out how to reduce the hassles, how to reduce the
22 delays. We have to set up, we have to reward
23 versus punish project developers who provide
24 benefits. So may have to come up with incentive
25 programs that actually provide folks with some

1 sort of economic benefit and reward.

2 We have to set up simple and clear
3 pathways that allow those benefits to be
4 monetized. Actually right now, working in a state
5 bureaucracy, you know, we're really good at coming
6 up with programs to hand out money. And sometimes
7 those programs have all sorts of hooks and
8 barriers with them, regardless if they're
9 incentive payments or some other sort of an
10 economic benefit. They make it very difficult for
11 people to move forward with projects.

12 Governor Schwarzenegger talked about
13 blowing up boxes. This is an arena that's ripe
14 for blowing up some boxes, I think. I think we
15 also have to really get -- we have to have this
16 working group establish very clear goals, very
17 clear objectives that we can track, because I
18 think again we have to come back next year, we
19 have to come back in two years and we have to be
20 able to say, this is what we've accomplished.
21 This is what we set out to do, and if we really do
22 provide benefits, then we need to be able to
23 measure against what did we actually gain.

24 Now, I want to really end up then with
25 talking about some points that were made by

1 earlier speakers. Again, Kim Kristoff noted that
2 no plan is perfect. And we're going to have to
3 seek tradeoffs. I absolutely agree with that.

4 You know, we are going to go forward
5 under some sort of an agenda to make progress.
6 And we will make mistakes, but we'll make
7 progress.

8 And Doug Wickizer pointed out that we
9 have to do it cooperatively. That doesn't mean
10 project developer against regulatory agencies
11 against, you know, whoever else is out there,
12 communities. We have to walk hand-in-hand and try
13 to figure out how to create a pathway to see a
14 real growth in biomass in California.

15 And so I'm going to leave on that note,
16 that again it's a cooperative pathway that we have
17 to adopt. I heard a lot of that today. And I'm
18 really pleased with that. I think we've made some
19 modest accomplishments in terms of growth in the
20 biomass industry, but I think the forum and the
21 fact that we have a Biomass Collaborative, and we
22 have a state agency working group is going to
23 serve us very well in the next decade.

24 So, thank you.

25 (Applause.)

1 DR. JENKINS: Thank you, George. Stated
2 elegantly, as always, of course.

3 And, you know, we come to the end of
4 this day; we've learned quite a bit. There's
5 obviously a lot of energy and a lot of enthusiasm
6 for biomass and renewable energy in this state.
7 And I think we need to continue doing what we're
8 doing, which is many good things.

9 We have lots of things going on, lots of
10 progress to be made. George mentioned the comment
11 about \$6 per gallon for gasoline. Why does
12 gasoline cost \$6 per gallon. You can imagine, I
13 suppose. But if we're really going to provide
14 incentives for biomass and other renewables, then
15 maybe we ought simply to recognize what it is that
16 renewables provide to us.

17 And we heard the ten-point program from
18 the Governor's Office, Governor Schwarzenegger, if
19 I can say it right this time. And with the
20 Secretary's comments there very energetic, very
21 enthusiastic again about trying to move forward on
22 this front.

23 Commissioner Boyd's comments, and of
24 course the reconstruction of the interagency
25 working group. We look forward to seeing what

1 that will look like and how we work together with
2 that. I think the Biomass Collaborative can
3 provide a vital function in bringing together all
4 of the other parties outside the state agencies to
5 work with the state agencies and moving forward in
6 this area.

7 And I'm all in favor of blowing up
8 boxes. I think we don't need any more boxes. So,
9 okay.

10 All right, --

11 (Laughter.)

12 DR. JENKINS: You know, I stand up here
13 and I say a few words, but there are many people,
14 of course, who actually do all the work. And I
15 would like to express some thanks.

16 First of all to the Commission and to
17 John Ferrell from DOE and to Secretary Desmond for
18 coming in today and expressing their views on the
19 big picture associated with this.

20 I want to thank all of the speakers who
21 came in and spent their time creating the
22 presentations that you saw, even though the
23 machines like to do other things with them
24 occasionally. But to provide us with a great deal
25 of information and their best truth about biomass.

1 And I want to thank the speakers for that again.

2 Moderators kept the speakers on time. I
3 think we're pretty much on time if I get done
4 talking here and don't use too much of your time.
5 I think they did a good job there, and I want to
6 thank all the moderators for doing that job.

7 And then I want to thank the staff of
8 the California Biomass Collaborative who worked
9 very hard in the background area. You heard one
10 in the foreground.

11 (Applause.)

12 DR. JENKINS: Thank you for that.
13 Martha gave you a very nice introduction to some
14 of the incentives that are out there. But there
15 are many other people, too. Gary Matteson, who
16 moderated the last session. He's the Assistant
17 Director. Thanks, Gary.

18 Martha, thanks. Martha works on a lot
19 of different things. Rob Williams, who moderated
20 one of the sessions. He's a Development Engineer;
21 works on the technical side, as well as trying to
22 keep me straight, as they all do.

23 Hugo Von Bernath has been with the
24 Collaborative since its inception, and where is
25 Hugo? He was sitting somewhere here. Oh, there

1 you are, back there. Thank you very much.

2 And there's (indiscernible), his
3 graduate student, PhD student working with the
4 Collaborative. Sherry Blunk sitting next to him
5 there is also a PhD student. She was taking some
6 photographs today. I want to thank them for that.

7 Pei Lin Yang who may be hanging around
8 here someplace. Is Pei Lin still around? Maybe
9 he left. Has worked with the -- oh, there he is,
10 way in the back. He worked very hard on --
11 residue report which we're getting out sometime
12 soon.

13 Glenda has -- still here? Where -- oh,
14 there you are. I have to look, as well. Maybe I
15 need new glasses. Glenda was taking photographs
16 today. She's taken quite a few. I hope some of
17 them come out well, so we'll look forward to that.

18 Li Mei Yan is a programmer with the
19 Collaborative. She does a lot of the programming
20 you'll see on the biomass facilities reporting
21 system. If you go there and look at that, that's
22 mostly her work. And so she couldn't be here
23 today, but I do want to thank her efforts in that
24 regard.

25 Conference and Events Services from the

1 University provided excellent services always to
2 help us get this conference put together. Teresa
3 Brown and Jennifer Thayer were very constructive
4 in that regard.

5 And Peters Reporting service, if I got
6 your name not quite right, I apologize. Thank you
7 for that.

8 And then, of course, the PIER program
9 overall at the California Energy Commission has
10 been very supportive, as have folks from the CDF,
11 from the Integrated Waste Management Board, from
12 the Air Resources Board, from Water Resources
13 Control Board, and a lot of the other agencies
14 involved have been very supportive in that.

15 And I do want to thank the Executive
16 Board of the California Biomass Collaborative. We
17 had 25 members of the Board, some of them are
18 still here. And I do again want to thank you for
19 the service that you provide to the Collaborative
20 and a lot of the hard work, a lot of hours that
21 are put in by the Board that the membership
22 doesn't see in general. So, again, I do want to
23 thank you.

24 And then not least, of course, but maybe
25 last, just for you for being here and providing

1 the input. And I hope you do turn in your surveys
2 to us, if you have not done that already. And if
3 you take them with you, please do make sure you
4 mail those in to us. And we would like to hear
5 your comments on that.

6 And so thank you for being here, thank
7 you for coming, and we look forward to seeing you
8 again sometime in another year. Thank you.

9 (Applause.)

10 (Whereupon, at 4:50 p.m., the Forum was
11 adjourned.)

12 --o0o--

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

I, PETER PETTY, an Electronic Reporter, do hereby certify that I am a disinterested person herein; that I recorded the foregoing California Biomass Collaborative Forum; that it was thereafter transcribed into typewriting.

I further certify that I am not of counsel or attorney for any of the parties to said forum, nor in any way interested in outcome of said forum.

IN WITNESS WHEREOF, I have hereunto set my hand this 28th day of March, 2005.

PETERS SHORTHAND REPORTING CORPORATION (916) 362-2345→