

UNIVERSITY OF CALIFORNIA
BIOLOGICAL AND AGRICULTURAL ENGINEERING
CALIFORNIA BIOMASS COLLABORATIVE

BIOENERGY INTERAGENCY WORKING GROUP
INFORMATIONAL MEETING
ROADMAP FOR BIOMASS DEVELOPMENT IN CALIFORNIA

CALIFORNIA ENERGY COMMISSION
HEARING ROOM A
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

TUESDAY, SEPTEMBER 19, 2006

9:05 a.m.

Reported by:
Peter Petty

PETERS SHORTHAND REPORTING CORPORATION (916) 362-2345

APPEARANCES

Bryan Jenkins, Executive Director
California Biomass Collaborative

Susan Brown
California Energy Commission

Valentino Tiangco
California Energy Commission

Kay Martin
Bioenergy Producers Association

John Shears
Center for Energy Efficiency and Renewable
Technologies

Ken Krich
California Institute for Energy and Environment
Office of the President
University of California

Rob Williams
California Biomass Collaborative

Martha Gildart
California Biomass Collaborative

Fernando Berton
California Integrated Waste Management Board

Matthew Summers
Renewable Energy Institute, International

Michael Theroux
Theroux Environmental

Brett Storey
County of Placer

I N D E X

	Page
Proceedings	1
Opening Remarks and Welcome	1
Susan Brown, CEC	1
Valentino Tiangco, CEC	3
Introduction - Background and Purpose of Roadmap	8
Bryan Jenkins, UC Davis	8
Industry Perspectives	21
Kay Martin, BPA	21
Environmental Perspectives	32
John Shears, CEERT	32
Vision and Forecast for California	50
Ken Krich, CIEE, UC	50
Roadmap Directions	58
Martha Gildart California Biomass Collaborative	58,75
Rob Williams California Biomass Collaborative	63
Participant Comments	80
Matthew Summers, REI International	80
Michael Theroux, Theroux Environmental	87
Brett Storey, County of Placer	93
Closing Remarks	102
Adjournment	103
Reporter's Certificate	104

1 P R O C E E D I N G S

2 9:05 a.m.

3 MS. BROWN: My name is Susan Brown; I'm
4 a Senior Policy Analyst here at the Energy
5 Commission. And today I'm going to wear two hats.
6 I'm the newest member of the California Biomass
7 Collaborative Board of Directors. In fact,
8 yesterday was my first business meeting of the
9 Collaborative. I'm also the Lead Staff for the
10 state's bioenergy interagency working group, which
11 means that I have a direct interest in the
12 proceedings today, and your input on the
13 preliminary roadmap we're here to discuss.

14 So, I thank you all for coming. I'd
15 like to give some brief remarks by way of
16 background. First of all, the bioenergy working
17 group was actually formed by Governor
18 Schwarzenegger and reinvigorated in August of
19 2005. And our group, which is composed of nine
20 separate state agencies, was asked to develop a
21 bioenergy action plan which was actually released
22 by Governor Schwarzenegger in July of this year at
23 a very public event in Madera, California.

24 The roadmap that we're here to discuss I
25 view as a complementary activity. In fact, the

1 Collaborative has long served as a technical
2 advisor to the bioenergy working group, and will
3 continue to perform that function as we implement
4 the Governor's executive order on biomass.

5 I thought it would be helpful, however,
6 to explain in more detail the relationship of the
7 roadmap that we're here to discuss today, and the
8 bioenergy action plan.

9 The roadmap and the plan actually differ
10 in -- they have some similarities in that they're
11 both intended to promote the sustainable use of
12 bioenergy in California, but some very distinct
13 differences. They differ in scope. They differ
14 in the timeframe that's involved. They differ in
15 the level of participation by those that have
16 formulated the plan and the roadmap. And they
17 differ in many other aspects, as well.

18 The bioenergy action plan commissioned
19 by the Governor is actually a near-term, state
20 action plan which involves only state government.
21 By contrast, the roadmap is a more visionary
22 conceptual document which extends out farther to
23 2050. And also involves not only just state
24 government, but government at all levels, the
25 private sector, academia, and nongovernmental

1 organizations.

2 So they're really very different
3 documents but I view them as complementary. So,
4 your input on the roadmap will actually help us in
5 moving ahead. It will help us in not only
6 implementing the Governor's production targets
7 that were established in his executive order, but
8 also to advise the bioenergy working group on how
9 we can move beyond the 2010, the 2020 timeframe to
10 a vision of a sustainable bioenergy future.

11 So that's just by way of introduction.
12 I think it's important to keep these two parallel,
13 but complementary, activities in mind.

14 So, with that I want to again thank you
15 all for being here today. I want to next
16 introduce Valentino Tiangco who's going to make a
17 brief presentation on behalf of our research
18 program here. And as many of you know, the
19 roadmap that we're reviewing today was funded in
20 large part by the Energy Commission through its
21 Public Interest Energy Research.

22 So, Val.

23 DR. TIANGCO: Thank you, Susan. Good
24 morning. On behalf of the PIER renewables
25 program, energy generation research office,

1 California Energy Commission, I would like to
2 welcome you all at this informational meeting.

3 Susan mentioned the purpose of this
4 meeting is to solicit your comments on this
5 roadmap for sustainable development of biomass in
6 California.

7 This roadmap supports key state policy
8 goals. It supports RPS, renewable portfolio
9 standards, goals; the Integrated Energy Policy
10 Report; energy action plans; and the Governor's
11 response to the Integrated Energy Policy Report.

12 In April 2006 Governor Schwarzenegger
13 issued executive order S0606 proclaiming the
14 benefits and potentials of bioenergy in helping to
15 meet the future needs of the state for clean
16 renewable power, fuels and hydrogen; and calling
17 for actions by the state to meet targets for
18 biofuel and biopower development.

19 By 2010 we should be producing 20
20 percent of the biofuels, increasing to 40 percent
21 by 2020, and 75 percent by 2050. And meeting a 20
22 percent target within established state goals for
23 renewable electricity generation for both 2010 and
24 2020 timeframes.

25 Subsequently the state's bioenergy

1 action plan, as Susan mentioned, tasked the
2 California Energy Commission, through the
3 California Biomass Collaborative, to prepare a
4 roadmap for biomass research and development.

5 This meeting is -- the main purpose, as
6 I said, is to solicit your comments on this draft
7 roadmap. This roadmap also supports the
8 Governor's greenhouse targets. It also supports
9 the AB-1007 mandate; the state plans to increase
10 the use of alternative transportation fuels. This
11 slide shows the process, the scope and timeline of
12 this AB-1007.

13 By June 30 we need to have the -- should
14 be completing the plan. And then the Commission
15 intends to have the plan completed actually by
16 January 2007.

17 This roadmap also supports the Public
18 Interest Energy Research program vision. The PIER
19 vision statement is to have a sustainable energy
20 choices for California. We have a mandate. And
21 our mandate and our process is open to inform and
22 responds to state policy. It provides
23 environmental stewardship and natural resource
24 conservation. It provides leadership to develop
25 affordable, innovative and useful solutions. And

1 it involves stakeholders, also. We encourage
2 stakeholders' collaboration in this process.

3 The PIER energy policy is always carried
4 out within the context of California energy policy
5 and addresses needs not met by private sector.
6 PIER R&D aims to provide advanced technology and
7 improves the lives of Californians, which means
8 that PIER must interact with the marketplace.

9 PIER R&D planning, management and
10 evaluation is designed and carried out with the
11 intent of meeting policy goals or revising policy
12 goals. Engaging with users and manufacturers
13 throughout the R&D process. And PIER R&D
14 addresses critical technical market and policy
15 risks.

16 This is the vision for the California
17 Biomass roadmapping exercise. And you will hear
18 more about this. I will not dwell so much on this
19 one, but the vision is to have a sustainable
20 biomass resources energize a healthy and
21 prosperous California through the environmentally
22 beneficial production and use of renewable energy,
23 biofuels and bioproducts.

24 Just a capsule of what you're going to
25 hear for today, this roadmap achieving the vision,

1 as you see on the right side of this slide. And
2 the five goals that we have and the mandates, the
3 2010, 2020, 2050 mandates that we have through the
4 Governor executive order and the renewable
5 portfolio standards.

6 Similarly, the priority areas which you
7 may hear all of them today, from the Collaborative
8 Staff, five priority areas, and the sustainable
9 biomass vision that we have on the right-hand
10 side.

11 That's all that I would like to say.
12 And I welcome you all. And this is an open
13 meeting. There will be public comment at the end.

14 As a way of logistics for in today's
15 meeting I need to say this, just a few
16 housekeeping items before we begin. For those of
17 you not familiar with this building, the closest
18 restroom, as you know, is in that side. And there
19 is a snack bar on the second floor under the white
20 awning.

21 Lastly, in the event of an emergency and
22 the building is evacuated, please follow our
23 employees to the appropriate exits. We will
24 reconvene at Roosevelt Park located diagonally
25 across the street from this building. Please

1 proceed calmly and quickly, again following the
2 employees with whom you are meeting to safely exit
3 the building.

4 Thank you.

5 MS. BROWN: Thank you, Val. And before
6 I turn the mike back to Bryan I want to also add
7 that we are transcribing the meeting today mainly
8 for our own use. And so if you do make public
9 comment, please step up to the podium and identify
10 yourself, name and affiliation for the record.
11 And I think the court reporter would really
12 appreciate that.

13 So I think that about wraps up our
14 preliminaries. And, Bryan, I think it's back to
15 you.

16 DR. JENKINS: Thanks, Susan, and good
17 morning. It's good to see so many friends here;
18 some new friends, too. So I want to thank you for
19 coming. This is an informational meeting on the
20 roadmap for biomass development in California.

21 (Pause.)

22 DR. JENKINS: Okay, a couple of other
23 announcements in regard to follow up what Susan
24 was talking about. There are some blue cards on
25 the table in the lobby to this hearing room. If

1 you wish to make a spoken comment today, please
2 fill out one of those blue cards and get it to
3 Pete Dempster, who's sitting over there on the
4 side. We would like to get your comments today,
5 of course.

6 Also there are some sign-in sheets out
7 on the table; if you have not signed in, please do
8 so. We'd like to have a record of who's here and
9 we'd like to be able to get back to you, if you
10 make comment, even if you're just making a brief
11 comment from the floor.

12 So let me begin then with a brief
13 introduction to where we stand with the roadmap,
14 and then what we're really looking for here today,
15 because we would like to get whatever comments you
16 have. We're interested in taking the document
17 that's been developed so far. This is going out
18 now for public comment. And we're interested to
19 see what we might have missed, where we've -- what
20 are the things that we should consider in the
21 roadmap, maybe items that you have various
22 interest in or comment on that are already in the
23 roadmap, as well.

24 So, with that, let me proceed here. Of
25 course, the roadmap is a guidance document. We

1 use roadmaps for various purposes. In this case
2 we have -- we are where we are in the State of
3 California with respect to biomass. We have a
4 vision which has been articulated here by Val in
5 his introductory comments about where we might
6 want to be.

7 This is the vision that the process has
8 come up with so far. You may have a different
9 vision about where biomass should be in the
10 future. And, of course, we have different paths
11 to get there, different roads to take. The
12 question is will we be able to get to where we
13 want to be, which is the sustainable use of
14 biomass -- the management and use of biomass in
15 the future.

16 Just a review of the resource base with
17 you. Many of you have seen this before, but these
18 are our estimates of the biomass that's currently
19 available in California. And, of course, we can
20 change this in the future as we begin to change
21 our agricultural practices and management
22 practices; begin to look at dedicated biomass crop
23 production in the state in more detail.

24 But basically we have three main sectors
25 that are producing biomass currently: agriculture,

1 forestry and, of course, our urban activities with
2 municipal solid waste and other residues from what
3 we do.

4 And if you look at the total amount of
5 biomass we think is produced annually, it's about
6 80 million tons. These are dry tons. We think
7 that somewhere in the order of 30 million dry tons
8 are sustainably available for industrial use
9 essentially. And if you look at the energy
10 content of that, think about the bioenergy
11 applications, this is basically a half a quad of
12 energy, about 500 trillion Btus per year of energy
13 contained in that biomass. The question then is
14 how do we use this biomass.

15 And, of course, we're not going to
16 produce just energy from this biomass; we'll also
17 be producing various products from this material.

18 If we took all of that biomass and used
19 it in particular applications, for example, if we
20 were to take all that biomass and produce
21 electricity, this would constitute a total
22 capacity in the state of about 4600 megawatts
23 under current efficiencies.

24 Associated with that, if we were to use
25 it, would be an amount of heat and roughly 9000

1 megawatt thermal of heat. And if we simply took
2 all this biomass and made heat out of it, then
3 we'd have something around 11,000 or 12,000
4 megawatt thermal of heat, or about 350 trillion
5 Btus in heat.

6 For biofuels, biochemical conversion of
7 biofuels would result in about somewhere around
8 2.3 billion gallons per year capacity. If we went
9 to thermochemical processing for biofuel
10 production, we might be somewhat less than that,
11 but in terms of total energy content in those
12 fuels we might be higher because we're producing
13 different types of fuels. Instead of ethanol
14 through biochemical processing, for example, we
15 might be producing diesel fuels through
16 thermochemical Fischer Tropsch and other
17 processes. We can also make ethanol from
18 biothermal chemical processes.

19 If we look at biomethane production and
20 thinking about the materials that are suitable for
21 that, might be looking at somewhere around 100
22 billion cubic feet per year in capacity in those
23 materials. And, of course, we could also make
24 hydrogen, both by thermal means as well as
25 biological and biophotolytic means to produce

1 hydrogen. And the capacity there might be
2 somewhere over 2 million tons a year of hydrogen.

3 We're not going to take all of the
4 biomass and use it in any one sector like this.
5 We are going to do multiple processes, or use
6 multiple processes to produce this.

7 So if we look at potential development
8 scenarios, and there are many of them, we might
9 think that the state could do something like this.
10 If we look at where we are right now, we are using
11 somewhere around 5 million dry tons a year
12 biomass. Much of this is going into electricity
13 production. There's a little bit going into
14 biofuels production at the current time.

15 Of that 30- or 32-million tons that I
16 mentioned might be sustainably available for use,
17 most of that is not being used for energy purposes
18 at this point. As we look out into the future and
19 we think about what policies, what actions, what
20 technology developments we might have in the
21 future, and what we might do with this biomass
22 that we have available, we could potentially do
23 something like this, which is to increase the
24 amount of electricity that we generate. We can
25 increase the amount of biofuels, and of course,

1 biomethane. Biomethane could go into electricity
2 generation or into biofuels or into other
3 synthesis.

4 And, of course, out in the future toward
5 2050 we could be producing increasing amounts of
6 hydrogen if that's the economy we develop.

7 So we could do this. Technically this
8 might appear to be feasible. The question is
9 whether we really can support this financially,
10 economically and politically. And this is a
11 substantial increase in capacity for biofuels and
12 electricity and the like in a fairly short period
13 of time. We're looking out over two decades here
14 for most of this development. And if we think
15 back over the last two decades and think about
16 what we've done, there's some comparison there you
17 might make.

18 In any case, if you look at the energy
19 associated with this, again looking at some of the
20 quantities, this basically amounts to about 2500
21 megawatts of capacity in electricity generation.
22 Again, close to 100 billion cubic feet per year in
23 biomethane. About 1.6 billion gallons per year in
24 biofuels. And out towards 2050 about something
25 over a million tons per year of hydrogen, again,

1 if we develop that economy.

2 So we have the resource to do this, and
3 we can be expanding the resource both through
4 dedicated crops and higher -- and, of course,
5 potential for energy from this resource we can be
6 increasing efficiency as we go along.

7 So, what are some of the estimated
8 impacts of this. Over this period of time in this
9 particular scenario we would be using somewhere
10 around 1.5 billion tons of biomass per year. Now,
11 this does not include the biogas that would
12 already be coming from waste placed in landfills,
13 for example. We have over a billion tons of
14 material in landfills currently which is producing
15 landfill gas. So this is of that annually
16 produced biomass over that period of time out to
17 2050, we would be using something around this
18 amount of biomass out to that time.

19 The acquisition cost for this biomass
20 would amount to some \$40 billion. In conversion
21 plant investment we would have something around
22 \$20 billion. We would have also investment in
23 harvesting and collection and processing
24 infrastructure, as well as product distribution
25 infrastructure.

1 This might result in something like
2 16,000 primary jobs associated with this industry.
3 The cost of energy generation might amount to
4 something around \$175 billion or close to \$200
5 billion, with a retail value close to 300 billion.

6 And potentially with about a gigaton or
7 a billion tons of CO2 displacement from this
8 biomass utilization. And, of course, as we build
9 the markets for carbon in California, if we get up
10 to the range of \$120 per ton value on this carbon,
11 and it's a substantial economic incentive,
12 somewhere around \$30 billion credit value
13 associated with carbon from these activities.

14 And, of course, we have many savings
15 from fire suppression, health and safety costs and
16 waste disposal costs, as well. So there are a
17 number of benefits associated with this.

18 We have many technologies in
19 development. We're going to see lots of
20 development, I think, over both the near and the
21 long term here.

22 We have technologies that offer great
23 promise for increasing efficiency and increasing
24 selectivity in products that we can manufacture.
25 Many of you are, I think, associated with

1 technology and product development at this time.

2 And, of course, as we look from where we
3 are right now with our distribution in bioproducts
4 and biofuels and electricity and heat, and think
5 about the technologies that we can develop, we
6 have various trajectories for this development
7 that can occur over time. And, of course, if it's
8 your own technology, you'd like to see it take a
9 trajectory that would wind up in
10 commercialization, I'm sure.

11 Some of these will make commercial
12 technologies; some of them will not. And, of
13 course, the question is how do we promote this;
14 how do we support the development of clean and
15 efficient technologies in the future so that we
16 can do this development that we're talking about.

17 The roadmap elements include the vision,
18 of course, which you've just heard from Valentino.
19 In addition, we have the timeframe that we've
20 looked at. This roadmap looks over the period out
21 to 2050. Much of it is concerned with the more
22 near term out to about 2020, 2025.

23 The Governor's executive order, of
24 course, pays attention to developments out to 2050
25 with the biofuels; looks at 2010 and 2020 for

1 electricity development with its 20 percent of the
2 renewable portfolio standard for biomass as part
3 of the renewable component.

4 The roadmap also has to identify
5 barriers and look at how we're going to overcome
6 these barriers or go around them. We have to look
7 at the research and development that's required to
8 take us where we want to be.

9 We have an education and outreach
10 component associated with this, which is quite
11 critical to meeting these objectives. And, of
12 course, there is financing and we have to
13 demonstrate technologies, and we then have to
14 deploy these technologies in order to achieve this
15 vision.

16 And there will be policy and regulations
17 and statutes that will support all of this. And,
18 of course, there's some accountability that has to
19 occur in all this. We have to be able to measure
20 progress. And we also have to be able to maintain
21 sustainable systems and be able to measure the
22 effect of the systems on the environment and make
23 sure that they are sustainable.

24 In terms of the roadmap process, the
25 document that you've seen has been put up on the

1 web for your review. Has been developed through a
2 process of consultation with the Executive Board
3 of the California Biomass Collaborative and the
4 staff of the Collaborative.

5 The staff has worked very hard on this.
6 And I will point out a couple of people on the
7 staff right now. Martha Gildart, who's sitting
8 down there. Martha, I don't know if you want to
9 raise your hand there. And then Rob Williams,
10 also sitting in the front there. These two
11 individuals have been largely responsible for
12 putting the document in the form you see.

13 The Executive Board has contributed
14 substantially to this document. You see a number
15 of people in this room right now who serve on the
16 Executive Board and have been very instrumental in
17 helping this document get to where it is now.

18 And I will point out a few people from
19 the Board just so you know who they are. Tony
20 Symonds sitting in the back there, Tony. John
21 Menke in the front here. And if I miss anybody,
22 make sure -- Ken Krich, who you'll hear from
23 shortly. Fernando Berton, sitting there. Tony
24 Goncalves in the back there.

25 And see if I see who else is sitting

1 here -- and then we have Doug Wickizer back there.
2 And let's see, who else do we have here -- I'll
3 probably miss somebody here. Valentino, of
4 course, you've heard from.

5 Gary Matteson sitting in the front here.
6 Kay Martin there at the front table. Susan Brown.
7 John Shears, and did I miss anybody there on the
8 Executive Board? I want to thank these
9 individuals for the contributions that they've
10 made; they've been substantial. Okay.

11 So where are we right now? We have this
12 document. We would like your review of this. We
13 want public comment, we want to know what we've
14 missed, what we've done well, what we've not done
15 so well, what we need to do to take this document
16 to final form.

17 This is an informational meeting to
18 solicit your comment and get your -- to obtain
19 your comment. We will take your comments from
20 today, also written comments should be submitted
21 if you have them to submit by Friday this week.
22 We'd like to get those.

23 We will then take those comments, make
24 revisions to the document. And put out a revised
25 document. And then move to another public meeting

1 probably towards the end of October or the first
2 part of November.

3 There will be a public release of that
4 through the Collaborative website, as well as I
5 think through the Energy Commission. You can
6 correct me if I'm wrong there, Val and Susan.

7 So, we will invite more public comment
8 as we go along here, moving towards the final
9 roadmap which we would like to have out fairly
10 soon.

11 So, this is the process. And so we are
12 hoping to get as much comment as we can from you
13 today. And certainly if you have written comments
14 please get those in to us by Friday if possible.

15 Now, we have a number of other
16 presentations this morning on the agenda. We are
17 going to hear next from Kay Martin, who's going to
18 give us a perspective from the industry on the
19 roadmap and the process and what it means to
20 California to have this roadmap for the industry.

21 So, Kay.

22 MS. MARTIN: Good morning. I don't have
23 a PowerPoint presentation but I thought I would
24 stand up here so I can see all of you.

25 I've been asked to give some

1 perspectives from industry. And I think I should
2 start by saying that there are many industries
3 that have a stake in bioenergy development in
4 California. We have the solid fuels power plants;
5 we have the agricultural sector; the landfill
6 operators, and certainly the bioproducts
7 manufacturers.

8 What I'm going to do this morning is
9 give you some perspectives from the Bioenergy
10 Producers Association. We are a collection of
11 private companies dedicated to the
12 commercialization of technologies that can produce
13 power, fuel and chemicals from the full array of
14 biomass, both purpose-grown crops and residuals.
15 And also from plastic wastes.

16 Our membership includes bioenergy firms,
17 but also utility companies and waste management
18 firms.

19 We view the roadmap that you have
20 available to you now in draft as a very positive
21 step for informing both policymakers and the
22 public. It calls attention to California's future
23 energy challenge. It delineates the benefits of
24 optimizing biomass resources for the furtherance
25 of California's energy independence policies, and

1 also for a whole variety of environmental and
2 economic development goals.

3 It quantifies the state's biomass and
4 the pathways for their development. It identifies
5 some of the major challenges before us, technical,
6 administrative and political. And finally, it
7 offers some actions and proposed strategies for
8 overcoming these goals -- rather, these obstacles.

9 But from our perspective the roadmap
10 fails to pinpoint the most critical factor we feel
11 in the commercialization of bioindustries in
12 California.

13 The major barriers to our industries are
14 not technical or even economic. Technologies
15 capable of producing power, fuel and chemicals
16 from biomass wastes and residues on a profitable
17 basis and in full compliance with California
18 environmental standards, are available now.

19 And, in fact, these bioconversion and
20 biorefinery facilities are being sited in other
21 states. And we expect that the first of these
22 will be operational within 16 to 18 months.

23 In California the major barrier is a
24 lack of an enabling regulatory structure and a
25 clear permitting pathway for facility siting.

1 Unless this issue is resolved, the state's goals
2 for bioenergy development, we feel, are severely
3 compromised.

4 Notably, the bulk of biomass materials
5 that are available for energy development in
6 California, perhaps 90 percent or more, fall into
7 the category of wastes or residuals.

8 Currently, the perception is that
9 industries that utilize raw waste materials as a
10 feedstock are waste processors or even waste
11 disposers. As such, they frequently fall under
12 the jurisdiction of the Integrated Waste
13 Management Board. And are even regarded as
14 landfills or incinerators when it comes to
15 permitting.

16 And this permitting hoop is not limited
17 to facilities that simply use urban biomass.
18 We're talking about, for example, an industry that
19 utilizes a thermal gasification process with
20 fermentation to produce ethanol that can easily
21 take a full array of biomass feedstocks. Not only
22 municipal waste residues and urban green or wood
23 waste, but things like rice straw bales,
24 switchgrass, manures, corn stover, orchard
25 prunings and so forth.

1 The permitting problem is acknowledged
2 by the roadmap, but it is not fully explored or
3 resolved in this document. For example, the
4 document notes two major areas of controversy with
5 the permitting of waste conversion technologies.
6 And these are those that have been raised by
7 opponents.

8 One is the fear that these facilities
9 could emit toxic air pollutants. A second is that
10 perhaps if we permit these facilities that are
11 waste reduction and recycling activities will be
12 somehow compromised.

13 The roadmap indicates that in this
14 instance the Waste Board's hands are pretty much
15 tied in lieu of the ability to change statute.
16 And the solutions that are proposed in this
17 document are that perhaps we should do more
18 lifecycle analysis studies as a prelude to
19 potential policy initiatives. It doesn't,
20 however, indicate why it's felt that the
21 opposition will be swayed by these additional
22 studies any more than they have in the past.

23 Similarly, the action proposed in this
24 document is that within the next three years we
25 try to change statute. Again, it's not indicated

1 who's going to initiate this legislation, or why
2 this legislation is expected to be any more
3 successful than previous attempts over the last
4 couple years with AB-1090 or AB-2118.

5 In our view, the real barriers here are
6 political rather than technical. The easiest way
7 to deal with political controversy is to propose
8 additional studies in the furtive hope that this
9 additional data will convince policymakers to take
10 the high road and to make the right decisions or
11 do the right thing.

12 One commentator recently said
13 politicians love symbolic acts that send
14 attractive messages without any political or
15 financial cost.

16 On the issue of biomass conversion
17 technologies, the reality is that state government
18 is being held hostage to arguments that are not
19 based in science, and that do not address over-
20 arching policy goals of California, such as
21 strategic energy independence, pollution abatement
22 and economic vitality.

23 We feel there is a short-term solution;
24 and that is that we de-politicize the production
25 of bioenergy from biomass wastes and residuals by

1 vetting the environmental and economic
2 characteristics of these industries on the ground.

3 How do we do this? We need to develop
4 an immediate pathway for commercial scale
5 demonstration of these types of industries. And
6 to do so we only need to look at other states for
7 guidance. How do they do this? How are they
8 doing this.

9 Step one is to clarify the
10 jurisdictional boundaries of our regulatory
11 agencies. And a good guideline here that's being
12 utilized in other states is that if it walks like
13 a duck and quacks like a duck, it is a duck. In
14 other words, if we take biomass or any other
15 feedstock and convert that into electrons, we're
16 talking about a power plant.

17 If we take that feedstock and we convert
18 it into biofuels such as ethanol or biodiesel,
19 we're talking about a refinery. These are energy
20 production facilities; they are not waste
21 processing or disposal facilities. And they
22 should be permitted as such.

23 We don't require any new legislation to
24 permit these facilities in a way that will protect
25 public health and safety, protect the environment,

1 and also to address local community needs.

2 And the way we approach this is that the
3 jurisdiction of state waste agencies is limited to
4 the oversight of feedstocks prior to the entering
5 of the process, if these feedstocks are chemically
6 unstable and require jurisdiction.

7 And the Waste Authority also has
8 jurisdiction over any products, end products,
9 waste products of the industrial process at the
10 back end.

11 In the middle we're talking about an
12 industrial facility. And jurisdiction of that
13 facility is typically done by the air boards, the
14 water boards and the local land use authority.

15 Under this scenario reliance is placed
16 on the development and monitoring and enforcement
17 of performance standards for air quality and other
18 environmental issues.

19 And we have then the opportunity to
20 utilize commercial-scale performance data to
21 resolve environmental questions about these new
22 technologies.

23 If progress is to come to California,
24 environmentalists, regulatory agencies and the
25 Legislature have to work together with industry

1 innovators, not against them.

2 Our industry is prepared to invest
3 private dollars now to demonstrate the commercial
4 viability of technologies that can turn the full
5 spectrum of biomass residuals and wastes into
6 major sources of liquid energy and green power,
7 and do so in a manner that meets state and federal
8 environmental standards.

9 We request that the roadmap assess the
10 need and support the need to establish a clear
11 permitting pathway for bioindustry siting, and for
12 the coordination of state regulatory agencies in
13 this regard. And this as a critical step in
14 addressing the so-called greening of California.

15 Thank you very much.

16 (Applause.)

17 MS. BROWN: Can I ask a question?

18 DR. JENKINS: Yeah, Susan.

19 MS. BROWN: Since you've laid down the
20 gauntlet here, Kay.

21 (Laughter.)

22 MS. BROWN: So it's your belief that
23 within existing statutes and regulations it's
24 possible to develop some kind of, for lack of a
25 better description, regulatory guidance which

1 describes the jurisdictional limits of the
2 agencies, given the feedstock. And you draw a
3 line between that which enters the process and
4 that which is turned into energy or fuel as a
5 result of the process.

6 Which, to me, begs the question then,
7 under CEQA most of these types -- unless you have
8 a power plant sized at 50 megawatts or greater,
9 most of these permitting decisions then would fall
10 to local governments, the first government to
11 receive an application for a permit, be it a local
12 land use agency or a local air district and that
13 sort.

14 Am I understanding where you're going
15 with this? I want to understand it, --

16 MS. MARTIN: Well, that's true of --

17 MS. BROWN: -- because I think it is --

18 MS. MARTIN: -- that's true of a
19 landfill, too. I mean the application comes in to
20 the local land use agency. The permit application
21 is processed not only for traditional land use and
22 CEQA issues, but it then goes to the local
23 enforcement agency which is the arm of the Waste
24 Board. It goes to the local air district. And if
25 there are discharges, you know, it ends up at the

1 Regional Water Quality Control Board.

2 And so the permitting pathway is there.
3 What we need to, I think, do to expedite
4 permitting of bioindustries in California is to
5 get some agreement amongst the various agencies
6 within Cal-EPA as to where their public health and
7 safety and environmental jurisdictions begin and
8 end.

9 And I believe that we already have these
10 concerns covered; it's just a matter of how we're
11 going to coordinate the activities of regulatory
12 agencies.

13 An MOU would be nice. I think that
14 would greatly facilitate what we're trying to
15 accomplish.

16 DR. JENKINS: Okay. -- comments on the
17 industry perspectives. I think we have a clear
18 need to demonstrate some of these facilities and
19 technologies in California. And hopefully do that
20 in the near term.

21 Is John Shears still here? Did he have
22 to leave, do you know?

23 UNIDENTIFIED SPEAKER: -- telephone.

24 DR. JENKINS: Okay. We were going to
25 hear from John Shears who's with CEERT on

1 environmental issues associated with the roadmap.
2 I think John was being called out to deal with
3 various regulatory issues and -- sorry,
4 legislative issues and -- oh, he is here. All
5 right.

6 So, are you ready?

7 MR. SHEARS: Yeah.

8 DR. JENKINS: All right. Okay, so
9 John's going to talk to us about environmental
10 issues associated with the roadmap development in
11 California. Thanks, John.

12 (Pause.)

13 MR. SHEARS: Well, sorry for that. Got
14 caught in the hall talking with Mike Smith about
15 issues.

16 I'm just briefly going to -- you know,
17 got a few slides, but won't take a lot of time
18 just to quickly sort of go over the breadth of
19 issues that are of interest from the perspective
20 of the environmental community.

21 And as we're all aware, the pressing
22 issue economically, it's also a pressing issue
23 from the environmental community, is what's
24 happening with fossil fuels.

25 Here I've just put up some slides

1 demonstrating some modeling that we've done here
2 at CEERT showing what (inaudible) projections
3 would look like for oil, gas and coal going
4 forward. But even if you don't buy into that
5 perspective, the challenges we face in the market
6 right now are issues around supply and demand.

7 These other graphs show how world total
8 production is basically max'd out; essentially the
9 elasticity in production has diminished quite a
10 bit. There's less room. Everything's going flat
11 out. Refining capacity is max'd out. And the
12 slide on the lower right-hand side shows
13 essentially oil tanker capacity, and we're pretty
14 well using all the oil tankers. You know, every
15 one that's out there on the water is just being
16 put to use to move fossil fuels around.

17 In California this is a slide from the
18 2003 AB-2076 report. We face this challenge in
19 terms of transportation fuels. The small slide
20 inserted up in the upper left-hand corner, which
21 is also you can see similar projections in the
22 Biomass Collaborative roadmap report, shows on the
23 lower line population projections relative to
24 projections for vehicle miles traveled. And you
25 can see that vehicle miles traveled is expected to

1 accelerate at a rate faster than population
2 growth.

3 So the challenge that we have here in
4 California is how to meet, you know, reduce
5 transportation fuel demand and possibly displace
6 it with alternative fuels. This is also a
7 challenge obviously going forward on power
8 production. And alternative fuels, including
9 biofuels, have a place -- a role to play in
10 meeting the state's climate targets.

11 Here I've shown a pie chart which was
12 actually worked on earlier before the Climate
13 Action Team under the auspices of the California
14 Climate Change Advisory Committee, which was
15 convened under the Energy Commission.

16 And these are the roughly current
17 greenhouse gas emissions from the state. Going
18 forward to 2020 we're going to increase from just
19 under 500 million metric tons per year to 564
20 million metric tons of CO2 per year.

21 And I've highlighted here on both of
22 these slides, the role that biomass resources play
23 in terms of emissions. And I include agricultural
24 soils as a component within that. And there's a
25 slight growth shown in the inventories from the

1 Climate Change Advisory Committee work.

2 So, going forward what we'd like to do
3 is essentially cut off our fossil fuel use; and in
4 an ideal sort of world scenario replace our use of
5 fossil biomass, fossil fuels, and to some extent,
6 or to the greatest extent possible, replace that
7 with, you know, current biomass resources.

8 The challenge that we have going forward
9 with that is we still have sent a huge signal of
10 carbon into the system. And as you'll note on the
11 slide on the right, I've highlighted that we still
12 have 3.2 gigatons of carbon that will be floating
13 around in the system, including, you know, all of
14 the carbon that's been sequestered in terrestrial
15 and marine biomass for quite some time to come.

16 You may also note that I've put a few
17 little factoids on the bottom of the slide, but
18 sort of the key, one of the key ones is that if we
19 look, you know, to the pace at which we've been
20 going through fossil fuels, and we convert that
21 into net primary production, which is if you
22 harvested all of the new plant growth on the
23 planet on an annual basis, since the mid 1700s
24 we've burned through the equivalent of now
25 probably more on the order of 14,000 years worth

1 of the net primary production.

2 So, it sort of gives us an indication of
3 the scale of the challenge that we would have to
4 do to undertake in order to pursue an aggressive
5 biomass policy.

6 Going forward for California, we have
7 some competing issues that we're going to have to
8 deal with in order to capitalize on biomass
9 production. Key among these is land use issues.
10 If we look at the projections for population
11 growth in the state, quite a bit of the Central
12 Valley, I think on the order, as we go out to 2050
13 and beyond, we're looking at a loss of on the
14 order of 15 percent of arable lands in the Central
15 Valley.

16 So we'll have competing land use issues
17 for purpose-grown crops. This also play, of
18 course, in wildfire issues as urban areas expand
19 into certain wildlands. And that links up with
20 forestry issues and what we can do there.

21 Also going forward on the agricultural
22 side we have to worry about weather, you know, how
23 much the picture will change on water use issues.
24 These are projections taken by the Pacific
25 Institute, which is an organization in Oakland

1 that works on global water issues.

2 They've looked at the past projections
3 from past Department of Water Resources water plan
4 updates, and current water plan update for future
5 projections. And plotted these all out to show,
6 you know, how the estimates have varied over each
7 of these updates.

8 And then they've also shown, you know,
9 some high efficiency scenarios, modeling work that
10 they've done, to show what they think is possible
11 in terms of reducing California's water use.

12 Those of you who are familiar with the
13 IEPR process know that the water working group did
14 an initial examination of power demand to move
15 water around the state that was -- the initial
16 report was issued, I think, in September. They
17 released an updated and more extensive report in
18 November, or publication in November, released
19 December. Which shows that California's actually
20 using huge amounts, also using huge amounts of
21 electrical power to move water through its
22 infrastructure.

23 So we have sort of some combined issues
24 here in terms of water use for, you know, purpose-
25 grown crops, what are the implications there. But

1 also with climate change scenarios and power
2 demand, if we want to, you know, increase power
3 demand from biomass, should we also be looking at
4 ways to increase power use efficiency, especially
5 when it comes to moving water around the state.

6 Another issue which I've tried to
7 highlight in recent conference talks that I've
8 given is everyone's very much focused on carbon as
9 a climate forcing element. But what's coming to
10 be more a concern in the research community of
11 late is the role that nitrogen plays.

12 And obviously, based on, you know, as
13 you can see here from these plots that I've
14 provided, nitrogen use, increase of nitrogen
15 emissions is very much related to the development
16 of modern industrial agriculture, of which
17 California is often held up as a shining example.

18 If we again wish to further intensify
19 agriculture in the state, not only for food crops,
20 but for fiber, biomass, for fuels, products and
21 power, we need to be cognizant of what the other
22 implications are in terms of things like nitrogen
23 fluxes. And as people may or may not be aware,
24 N2O is one of the most powerful greenhouse gases.
25 On the order, depending on the reference you cite

1 of 270 to 320 times the climate forcing potential
2 of, you know, of carbon dioxide.

3 As you can see, you know, our N₂O
4 emissions have been increasing substantially with
5 the advent of synthetic -- production of synthetic
6 fertilizers through the advent of the Haber Bosch
7 process in 1913. And that nitrogen then making
8 its way through the food and organic systems on
9 the planet.

10 Part of what we've seen as a result of
11 the advent of the Haber Bosch process is a
12 perturbation in the nitrogen cycle. And, in fact,
13 research scientists no longer refer to it as a
14 nitrogen cycle; they refer to it as a nitrogen
15 cascade.

16 And this slide is essentially meant to
17 just show how we've completely altered the flows
18 within the nitrogen system on the planet. This
19 slide here is essentially meant to show a little
20 more clearly how we've changed what used to be the
21 nitrogen cycle and converted it into nitrogen
22 cascade by increasing the overall amounts of
23 reactive nitrogen that are now flowing through the
24 world's ecosystems.

25 This shift in the nitrogen system is of

1 such concern that there are now major
2 international initiatives looking at how to deal
3 with nitrogen, implications of nitrogen, in terms
4 of global warming, ozone formation and also just
5 on-the-ground ecological impacts through
6 nitrification and similar impacts.

7 These plots show nitrogen deposition in
8 the western United States. And notably the line
9 that stands out from the rest of the western U.S.
10 is the amount of nitrogen that goes up into the
11 atmosphere, but then be redeposited on land and
12 water. The red line at the top of the graph is
13 California. So we have some huge challenges in
14 terms of dealing with nitrogen in the state.

15 This is just to show how dynamic, you
16 know, nitrogen is within the ecosystem process.
17 This is a graph essentially focusing on especially
18 ammonia and NOx when it gets into the atmosphere
19 and reacts with combustion products containing
20 sulfur.

21 In California SOx is not so much an
22 issue anymore. We've been able to drive down,
23 through regulations, SOx emissions. So that's
24 less of a key player here in California. But the
25 formation of ammonium nitrate, which I note at the

1 top is not really being shown in the graph, has
2 become a much more important reactant that's
3 formed especially in the cool humid months of the
4 winter, and is responsible for forming a
5 significant component of what is called PM2.5.

6 Now, if we look at our inventories and
7 our understanding of nitrogen fluxes within the
8 State of California, work from the global ozone
9 monitoring experiment raises some issues.

10 The graph across the top is from Lyatt
11 Jaegle's work. She's at the University of
12 Washington. Showing essentially that the remote
13 sensing measurements of emissions from world soils
14 is much higher than what one would expect based on
15 ground level measurements using bottom-up modeling
16 to try and estimate what total regional NOx
17 emissions would be.

18 The slide on the left is work from Ron
19 Cohen's group at University of Berkeley showing,
20 again using remote sensing work, differences
21 between what bottom-up models are showing us and
22 what remote sensing is showing us. And it raises
23 questions about whether we have a good handle on
24 our inventories even though California has some of
25 the best inventories on the planet. And also a

1 separate study on the lower right showing similar
2 sort of picture to Ron Cohen's group.

3 Another issue that's going to be a
4 concern to the environmental community, especially
5 to environmental justice communities is, you know,
6 what will biorefineries really look like. And
7 this is from a paper by a gentleman in New Zealand
8 who is also now works with OECD, showing all of
9 the different pathways through which we can
10 process biomass.

11 And the question, of course, is to what
12 extent are facilities that are going to be built
13 to take advantage of these pathways going to have,
14 you know, strict enough emissions controls to have
15 a minimal footprint so that we can, you know,
16 reassure the community that when they see
17 facilities like this being built that they're not
18 seeing, you know, oil refineries or something,
19 built in their neighborhoods.

20 So we also have to be very cognizant
21 that there's still a lot of distrust up there at
22 the community EJ level when we move forward to
23 actually sort of capitalizing on the biomass
24 resources and building these facilities.

25 And I'll end there. Thank you.

1 DR. JENKINS: Any questions for --

2 (Applause.)

3 DR. JENKINS: -- John? Fernando has a
4 question.

5 MR. BERTON: Fernando Berton from the
6 Waste Board. You had mentioned that, going back
7 to your graph of the population growth in
8 California that there's going to be increased
9 competition for arable land.

10 Would it be your contention, then, that
11 the biomass source will shift from agriculture and
12 maybe some forestry and more to the urban biomass
13 based on those population projections? And if so,
14 we still need to come up with alternatives to
15 landfills and the like based on those estimated
16 population growths.

17 You just passed it. There. So, using
18 that slide, you talked about the increased
19 competition for ag land. So, in my mind that
20 means there may be less in the way of ag land
21 which would lead to more in the way of urban
22 biomass.

23 MR. SHEARS: Yeah, as we're both aware,
24 there are challenges there. And the challenge
25 there make a more viable strategy politically, I

1 think, is if we could move the state to the
2 prospect of having a real good way of separating
3 out clean organics from the rest of the waste
4 stream, so that, you know, there'd be less
5 hesitancy at the community level to allow
6 facilities that would process those organic
7 residuals.

8 MR. BERTON: Well, that's a laudable
9 goal. I'm not sure how realistic it is. The
10 other thing to keep in mind is one of the proposed
11 solutions is to compost everything. Well, one --

12 MR. SHEARS: Yeah, that comes with its
13 own challenges.

14 MR. BERTON: Yes, like ammonia, which is
15 a nitrogen source. Which you point out on the
16 nitrogen cycle.

17 MR. SHEARS: It's also a challenge for
18 biomethane use at dairies and stuff.

19 MR. BERTON: Yeah. So, you know, going
20 with Kay's contention that, you know, there are
21 all these different roadblocks and, you know,
22 we're trying to do the right thing. And, I mean,
23 the whole purpose behind air pollution control and
24 the like is to address those issues.

25 But there's got to be give and take on

1 both sides. And based on my six-plus years on
2 this issue and others who have gotten more gray
3 hair or lost hair on this issue, I see a lot of
4 give but no take from certain sectors.

5 MR. SHEARS: You know, part of the
6 reason, you know, I'm involved with the
7 Collaborative and the organization that I work
8 with, I mean we're also involved with EJ and
9 community organizations.

10 We don't claim to be EJ or community
11 organized, you know, to be of that, you know, that
12 cohort, ourselves. We just work and try to assist
13 them and get their issues voiced.

14 Part of my purpose in all of this is to
15 try and help get that conversation, elevate that
16 conversation with those organizations. Get
17 everyone looking, thinking more on a systems
18 level, because i think there are solutions
19 pathways. We just need to, you know, we need to
20 get more of that sort of cross-fertilization of
21 ideas and, you know, education and communication
22 going both ways.

23 And I'm not saying it's easy or it's
24 going to happen quickly, but that's, you know, I
25 agree with you. And part of that is -- part of

1 our role at CEERT is to help sort of bridge those
2 differences and find ways to get to solutions.

3 MR. BERTON: So then is that -- you're
4 committing yourself to do that and --

5 MR. SHEARS: Yeah.

6 MR. BERTON: Okay, excellent.

7 MR. SHEARS: -- for sure, I mean, and
8 hopefully with the assistance of the
9 Collaborative.

10 MR. BERTON: Okay, thanks.

11 MS. BROWN: Bryan, may I ask a question
12 of John before we move on?

13 DR. JENKINS: Yeah, Susan, sure.

14 MS. BROWN: John, I know you can't speak
15 for the entire environmental community, but can
16 you comment on how the environmental community
17 views the waste disposal, forest-fire prevention
18 and climate change benefits of bioenergy?

19 MR. SHEARS: So, there are two questions
20 there?

21 MS. BROWN: Well, --

22 MR. SHEARS: So municipal wastes and
23 then forestry?

24 MS. BROWN: -- we've asserted, we've
25 asserted in many of our policy documents that

1 there are benefits for example for forest fire
2 health, for using, you know, biomass from our
3 forests. And there are benefits for waste
4 disposal by diverting waste from landfills. And
5 there are benefits in terms of climate change,
6 potentially, if biomass residues can be properly
7 used for energy production.

8 So I'm just trying to get a better sense
9 of how the environmental community views these.
10 Benefits or costs?

11 MR. SHEARS: Yeah, I know for --

12 MS. BROWN: Is there a -- first of all,
13 there's no unified view is my impression.

14 MR. SHEARS: Right, yeah. I think on
15 bulk, I mean there's still a broad leeriness on
16 the waste conversion for municipal waste side. On
17 the forestry side I think part of the challenge
18 there stems from, you know, perception of
19 irresponsible actors in the forestry industry.
20 Sort of, you know, then the rest of the industry
21 ends up being sort of painted with the same brush.

22 And therefore, a lot of the
23 environmental organizations that have concerns
24 about forestry practices to, you know, reduce
25 wildfire, and also, you know, for climate goals,

1 you know, transfer those trust issues onto the
2 larger programs.

3 So, the challenge there again is to
4 engage those organizations and, you know, work
5 with Doug and people in forestry, state forestry
6 programs, to show that there won't be, you know,
7 those other ecological impacts through soil
8 compaction and, you know, damage to riparian
9 zones, et cetera, et cetera, that have been
10 associated with, you know, just straight-up
11 commercial logging.

12 So, I mean, you're right, those are
13 concerns.

14 MS. BROWN: It's still a very big issue
15 then?

16 MR. SHEARS: Yeah, yeah, it's still a
17 huge issue. As, you know, anybody that's been
18 following the fight with the inside the Department
19 of Forestry in Oregon State is probably well
20 aware.

21 DR. JENKINS: Thanks, John. All right,
22 I hope by this time in the morning you have now a
23 sense of what the roadmap has to deal with. There
24 are a number of issues. And I want to get to, try
25 to move this along a little bit because we are

1 interested in getting to the public comment here.

2 And a couple other people I wanted to
3 mention here. Lian Duan sitting right here is
4 with the Collaborative, and she's been very --
5 she's responsible for the map you see up there and
6 the other poster you see. If you get a chance a
7 little bit later on, maybe at lunch, you can take
8 a look at that. It's a fairly detailed map and we
9 are moving towards more network analysis
10 capabilities. Hopefully will allow you to do more
11 preliminary siting studies if you'd like to do
12 that, so we have better resource information
13 available to you.

14 Also Pete Dempster is taking the blue
15 cards over there. If you have your comments -- by
16 the way, make sure you get your blue card to Pete.
17 Pete's been doing facilities studies. Those of
18 you who are operating facilities now may have seen
19 Pete. And you may see him in the future if you
20 haven't already. So I wanted to acknowledge those
21 contributions, as well.

22 To get this moving along with what else
23 the roadmap contains we have Ken Krich from
24 University of California, the Center for --
25 California Institute for Energy and Environment.

1 And Ken has been largely responsible for working
2 on the background for the roadmap and a lot of the
3 vision part of it associated with looking out
4 towards 2050. And we'll get Ken's presentation up
5 here and try not to take as much time as we did
6 before.

7 (Pause.)

8 DR. JENKINS: Okay, so, thank you very
9 much, Ken.

10 MR. KRICH: Okay. Good morning. I
11 think you can read my slide. So, the exercise I
12 worked on was trying to -- when you have a
13 roadmap, I sort of like reading roadmaps, I like
14 to travel, but they're most useful if you actually
15 got an idea where you want to go.

16 So, as part of this exercise we said,
17 well, what is this state going to look like at
18 2050 as a result of the work we're doing. So
19 that's the destination, what is it going to look
20 like.

21 So we started describing one possible
22 destination. It was kind of a fun exercise. All
23 of you follow energy issues; you can all, I'm
24 sure, do your own version of what the world of
25 California will look like in 2050.

1 The University of California did a study
2 in 2003, predicted 52 million people in 2050. The
3 bulk of the growth comes from international
4 immigration, not from birth rates or domestic in-
5 and-out migration, which has some interesting
6 implications. And it's basically going to be in
7 the Central Valley, in the Inland Empire, which
8 are, of course, hot.

9 To make this growth happen we're going
10 to have to have a strong economy. If the jobs
11 aren't here people aren't going to come. So
12 that's the other assumption. And then we would
13 assume going with it high housing prices, land
14 prices, agriculture still important, but not as
15 large a percentage of the economy. And some of
16 that ag land in the Central Valley is going to be
17 converted to other uses because people are going
18 to be living there.

19 Now, of course, I'm describing, as I
20 say, a future as if it were the reality. So,
21 climate change, if any of you went to the climate
22 change conference you know that even though we're
23 anticipating a lot of good activity to control
24 this, as we've seen in the State of California,
25 which we hopefully with AB-32, which will

1 hopefully become national.

2 Still, we're going to see higher average
3 temperatures by 2050 than today, different
4 vegetation patterns, more risk of fire, smaller
5 snow pack, which has some big implications.

6 Water usage. The residential demand
7 goes up; there's more people. The ag usage might
8 go up, might go down, depends if we're growing
9 cotton or if we're growing wheat or what we're
10 growing.

11 More water storage because of the snow
12 pack. Water prices go up. There's a bigger
13 market for water. We're going to be trading water
14 back and forth more than we do now. And, of
15 course, we're going to use the water like we do
16 the energy, much more efficiently, more recycling,
17 more efficient use.

18 We're going to take the position that
19 the strong environmental ethic the state is famous
20 for will continue with a well-informed electorate.
21 And that goes back to the fact that we're going to
22 have a lot of new immigrants who we need to help
23 understand the issues if they don't already. And
24 the tradition of California in terms of preserving
25 the environment.

1 The regulations are going to still be
2 strong and effective. We're going to look at
3 different media. And we're going to predict that
4 air and water quality will be better than today,
5 which kind of goes against what most people in
6 California believe, according to surveys, which is
7 that it's going to get worse.

8 We anticipate by then carbon will be
9 priced in the market. We're going to have cap-
10 and-trade or taxes or usage fees or something else
11 so that -- which is going to increase the cost for
12 fossil fuel. But the economy should be able to
13 adjust to it without too much disruption.

14 We already talked about waste, but I
15 look at these waste -- there won't be as much
16 waste because there's going to be more avoidance
17 of it in the production process. And what
18 disposal sites we have will be known as
19 (inaudible) or bioreactors or energy sources.

20 We're going to, of course, need more
21 energy services, and that doesn't mean more
22 energy. The obvious thing is we don't want
23 electricity, we want lights. We don't want air
24 conditioning, we want a cool house.

25 So, energy services will go up in the

1 hot inland areas for air conditioning with the
2 higher temperatures. Economy still being strong.
3 More demand for water, of course, as you know
4 pumping water around is a major use of energy and
5 there's going to be more of that. And we may find
6 some desalinization by then. Very energy
7 intensive.

8 But that's going to be balanced by
9 dramatically improved energy efficiency. The
10 Rosenfeld effect will be the Rosenfeld-squared
11 effect. We're going to see smoothing of demand by
12 demand response and time-of-use pricing. We're
13 going to see all these carbon charges and
14 declining supplies of fossil fuel changing our
15 usage patterns.

16 For electricity, more renewables, more
17 distributed generation, more efficient conversion
18 technologies. So we're going to find new ways of
19 combusting biomass and getting higher rates of
20 electricity out of it, more use of heat and power;
21 more renewables, except for hydropower, which
22 there will be less of; some new technologies.

23 So, natural gas, we're expecting North
24 American supplies to be in decline. We'll see
25 more LNG imports, but it won't be enough to make

1 up for that. There's talk about new sources like
2 methane -- rates and things like that, which we're
3 anticipating will have environmental issues. So
4 overall, higher prices for gas.

5 Nuclear power, of course, you can take
6 either side of this. You can say nuclear power
7 will be more of it because it's not a greenhouse
8 gas emitter. We think the political opposition
9 will continue to make that a limited opportunity.

10 Coal. We have a lot of coal in the
11 United States. We anticipate more coal usage, but
12 with better technologies, cleaner technologies,
13 with carbon capture and sequestration. A lot of
14 work being done on that by the WestCar project and
15 others at the Commission. And, of course, the
16 prices going for electricity from coal.

17 Transmission system is built to support
18 this without stranding resources like Tehachapi
19 wind. And DG fits right into regulation in the
20 infrastructure.

21 Now going to transportation, as John
22 showed us, we're going to have more people, more
23 cars. Peak oil by 2050 will have been behind us,
24 so we'll see higher prices, declining supplies.
25 We're going to want to get domestic supplies. Now

1 we would expect to see a lot more public transit,
2 congestion pricing for cars. Much higher fuel
3 efficiency in all modes, not just cars, trucks,
4 planes, trains, ships. And all kinds of new fuel
5 technologies in play, hybrids, Fischer Tropsch
6 products, cellulosic ethanol, biodiesel, hydrogen
7 out past maybe 2025.

8 The supply of biomass will come from
9 energy crops, from all the ag residues, forestry
10 residues, urban waste. We'll have new
11 technologies that they're working on; there's
12 pioneering work starting up on synthetic biology
13 and nanotechnology and the Helios project at
14 Lawrence Berkeley they're getting started on. So
15 we're going to see new plants and new processes.

16 Now, as we said, there's going to be
17 less farming acreage. It's going to be more
18 expensive to farm because water and fuel get more
19 expensive; the land gets more expensive. The
20 carbon tax thing and the other issues are going to
21 raise the value of biomass energy. And there will
22 be some impact on food and feed and fiber prices
23 as the farmers have a competitive place to sell
24 their crops into the energy market.

25 The forests will be sustainably managed

1 for forest health; also watershed health. As we
2 said, water's a big issue. And if we don't have
3 the snow pack, we need to have healthy watersheds
4 to help store the water. And that'll be a good
5 place to sequester carbon.

6 We'll be collecting biomass to reduce
7 the fire risk. Finding better ways to collect and
8 harvest that material. And carbon sequestration
9 will be another source of income for forestry
10 land.

11 So, for electricity and heat, biomass
12 will be used more efficiently, more
13 technologically advanced combustion processes,
14 gasification processes, widespread use of more
15 efficient anaerobic digestion for organic waste
16 products. And farm tipping fees and carbon
17 credits, environmental regulations will make all
18 this more economically efficient.

19 Transportation fuels, the biomass will
20 contribute the cellulosic ethanol from all kinds
21 of organic sources, biodiesel, biomethane,
22 biohydrogen, this is the contribution.

23 And then the biomass -- biorefineries
24 will be producing the chemicals we're now getting
25 from fossil fuels. Some of that, the fertilizer

1 from natural gas will be replaced by the compost
2 and soil amendments from the anaerobic digestion.

3 And we're looking for a world where we
4 don't have anything called waste products anymore.
5 We just have byproducts and residuals that are put
6 into other purposes.

7 That's it, thank you.

8 (Applause.)

9 DR. JENKINS: All right, thanks, Ken.

10 Okay, so we have a basis here now for looking out
11 to the future. We're going to look at some of the
12 details of the biomass roadmap, itself, and some
13 of the goals and objectives and some of the
14 actions that we think need to occur.

15 And then we're, of course, doing this to
16 set the background for your own comments.

17 So, starting us off is Martha Gildart
18 with the Biomass Collaborative; and then she'll be
19 followed by Rob Williams, and then maybe back to
20 you. Thanks, Martha.

21 MS. GILDART: Okay, well, to reach this
22 vision that Ken has laid out for us where
23 everything works so well, the Biomass
24 Collaborative has established within the roadmap
25 five goals, and describes objectives.

1 Very briefly, those goals are to
2 increase sustainable production and improve
3 acquisition of biomass so that we can use it.
4 Increase production of the biopower heat and
5 cooling that can be produced from biomass.

6 Increase the production and improve
7 environmental performance of renewable biofuels.
8 Increase the production of biobased products. And
9 finally, improve knowledge on the use of biomass
10 and its effects, and disseminate that information
11 to decisionmakers and to the public.

12 In order to achieve those goals the
13 Board has discussed how to group common actions,
14 if you will, and we have defined five key areas
15 that we're calling priority areas for actions to
16 be undertaken. And these actions are the steps
17 that lead us to those goals.

18 So, the five priority areas are access
19 to the resource, itself; how to produce it and
20 increase the supply. How to bring those
21 resources, as a feedstock, into the market so they
22 can be used by processors and production
23 facilities.

24 The market expansion for those products;
25 how to get to the markets; how to distribute it to

1 the public; what sorts of technologies are
2 necessary to produce those products.

3 There's a series of priority actions
4 that we need to take to improve some of these
5 technologies, understand better the environmental
6 impacts, how to demonstrate these different
7 technologies and show that it can be done.

8 Taking that information then before the
9 public to provide public education, informed
10 decisionmakers, provide training to the industry
11 and people, themselves, who will be producing
12 these new technologies and products. And finally,
13 what are the policy actions, what kinds of
14 regulations and statutes have to be changed or
15 adjusted to allow and accommodate all these.

16 Now, because we're running a little bit
17 behind, I'm going to try and do this very quickly.
18 I'm hoping that most of you will have downloaded
19 the report and read through some of the chapter
20 five, which is, I would say, the heart of the
21 matter, where we've listed more specific
22 recommendations.

23 But under each of those five areas there
24 are fairly major actions that we are recommending
25 taking. One is to require the use of best

1 practices for the sustainable development of the
2 feedstock supply. And include independent
3 certification of these sustainable practices in
4 areas such as land use, environmental regulation,
5 resource monitoring, making sure that we're not
6 depleting soils by over-harvesting of biomass.
7 How to produce dedicated biomass crops; what areas
8 would be appropriate for that, what amounts.

9 We want to improve the collection and
10 transport systems for the biomass materials.
11 Accommodating things such as the seasonality. You
12 will notice in agricultural crops not only are
13 they widely dispersed, as is shown in the map
14 there that Lian has produced, but they're very
15 seasonal. And may pose problems in the storage,
16 collection and use of those materials.

17 One way to do this is to provide co-
18 location sites where biomass facilities can be
19 sited that would take these materials and produce
20 the products and follow a setup such as the
21 enterprise zones that are established around the
22 state. And have these biomass feedstocks actually
23 be marketed and bid on much as any other product.
24 And establish specific biomass commodity markets.

25 Once that's done, once that feedstock

1 has become more readily available and of value,
2 then these co-location sites or independent sites
3 around need to have a way to provide their product
4 into the market. So, with biopower plants and
5 biorefineries, distributed generation, they will
6 need access to transmission lines; they'll need
7 access to gas pipelines if we're using landfill
8 gas or wastewater treatment, digester gas. So we
9 need to provide the physical capacity to deliver
10 these products to the markets.

11 In order to do that, to expand these
12 markets, to provide that infrastructure, there are
13 various funding and incentive mechanisms that are
14 discussed in the report and recommended, whether
15 it's a variety of tax credits, carbon taxes, low-
16 interest loans, guarantee loan programs. Long-
17 term contracting; that's something that's been
18 identified as very important to a lot of the
19 biopower industry, is the need to have contracts
20 for multiyear out in order to get the financing
21 from financial institutions with a guaranteed
22 price structure so that they know what the return
23 will be on the investment.

24 There are regulatory incentives where we
25 identify the environmental benefits that are

1 provided by the use of biomass, and may provide
2 either environmental credits or emission offsets
3 to assist in the siting of the facilities.

4 As I mentioned earlier, the
5 infrastructure improvements for transmission and
6 how to have like fueling stations. So if people
7 want to use E-85 in their vehicles, there are not
8 sufficient gas stations now that can handle that.
9 So how to set that up in a way first to
10 demonstrate its viability and then spread it out
11 to the public as a whole.

12 And then that leads us to this whole
13 next issue of where do we make these improvements.
14 How do we improve the technologies and the
15 infrastructure. And that's what Rob Williams is
16 going to address here.

17 MR. WILLIAMS: Thanks, Martha. Moving
18 right along here. So research, development and
19 demonstration, we feel, would play a big part in
20 achieving the vision of biomass, sustainable
21 biomass industry in the future for California.

22 Some of the reasons for research,
23 development and demonstration program are, for one
24 thing, California's behind other states, other
25 countries and other regions of the world with

1 respect to bioenergy technology systems and
2 analysis.

3 Research is needed if the state is to
4 become a leader in these technologies and create
5 their own industry, rather than import
6 technologies and systems.

7 Research is needed to develop instate
8 biomass resources for instate biofuels production,
9 instead of just importing other biomass for our
10 own production needs.

11 Research will help California to
12 compete, better compete in the markets for
13 bioenergy and technology. It'll also help
14 California develop new industries and invigorate
15 the existing bioenergy industry. And successful
16 bioenergy economy, which is helped by instate
17 development and demonstration, will also
18 contribute to real economies and economic
19 development.

20 The RD&D section is section 5.3 in the
21 full roadmap. We've listed 64 individual actions
22 in this area. And it's also listed out in tables
23 A-3, A, B and C in the appendix.

24 This section is divided into six
25 categories of actions related to research and

1 development. Sustainability and access of the
2 resource -- the sustainability of the resource and
3 access to the resource is one area; feedstock
4 processing systems improvEment is another area.

5 Bioscience and biotechnology, biomass
6 conversion systems and technologies. Systems
7 analysis for understanding lifecycle carbon, other
8 lifecycle environmental impacts and developing
9 ways to monetize societal benefits to help improve
10 economies of a project. And knowledge and
11 information resources.

12 For sustainability and access to the
13 resource base, best practices need to either be
14 identified and applied. If they're -- we need to
15 identify the knowledge gaps in best practices for
16 harvesting cultural -- silvaculture harvesting,
17 transport, et cetera. And update and fill in
18 these determine best practices where we don't know
19 them currently.

20 WE need to improve the inventory
21 assessment methods, including better understanding
22 of how to determine the technical availability
23 from a gross estimate. We'd like to try to better
24 adapt remote sensing technologies for better
25 resolution of the inventory, as well as

1 monitoring, over the long term, sustainability of
2 the resource.

3 Part of the resource base in the state
4 will probably, if the state's going to develop a
5 large biofuels industry, part of the biomass will
6 come from instate dedicated crops, we believe. So
7 we need to evaluate the potential for the state to
8 produce dedicated crops, including starch, sugar
9 and oil crops for conventional biofuels, as well
10 as lignocellulosic crops for the second
11 generation, so-called second generation gasoline
12 replacements and diesel replacement, as well.

13 The long term sustainability of
14 dedicated energy cropping systems needs to be
15 determined, and improved, where necessary. And
16 there may be a large potential for energy crops to
17 be used on marginal or out-of-production
18 agricultural lands to help in remediation or to
19 improve economics of the marginal crops. Some of
20 that information needs to be developed and
21 investigated.

22 The infrastructure-related research
23 mostly having to do with the fungibility of
24 biofuels and the existing petroleum distribution
25 system. Are there other biofuels that may be more

1 appropriate for long-term future than ethanol;
2 fuels that may work much better in the existing
3 distribution system.

4 Also infrastructure related actions to
5 help bioenergy, bioelectricity, would be to come
6 up with some innovative cofiring options for
7 California power systems, since we don't have a
8 large installed coal capacity instate for
9 electricity. There are other possible cofiring
10 applications in California's fossil electricity
11 system.

12 Feedstock processing actions involve
13 improving harvesting systems, densification at the
14 harvesting site for easier transport. And
15 logistics analysis and optimization for storage,
16 transport and preprocessing.

17 Biosciences and biotechnology are
18 perceived to be a large -- have a large future in
19 California, the U.S. and other regions for
20 producing crops and fuels. So, in the roadmap it
21 recommends that we develop a better understanding
22 of biosciences and biotechnology as it relates to
23 bioenergy.

24 This has to do with modification of
25 plant properties; those of energy, for instance,

1 increasing cellulose to lignin ratio; developing
2 inplant enzyme systems for easier hydrolysis;
3 enhanced yields of properties that are desired;
4 and reduce agronomic inputs.

5 There's a large amount of activity
6 currently in biosciences and biotechnology for
7 energy. The state should try to leverage its
8 funds where possible to increase those federal
9 dollars to come to California for California
10 research.

11 The state should participate in
12 international research programs in this area. And
13 always where we can adapt and build upon federal
14 results.

15 The state should also establish a
16 program to develop cellulase and other enzymes
17 that are suitable for California feedstocks. A
18 large part of the work in the U.S. is in this area
19 is for corn stover and switchgrass, which may or
20 may not be feedstocks California is interested in
21 developing or will be able to develop.

22 So, the state should then look at what
23 crops would be useful that we want to develop for
24 high yielding cellulose systems.

25 The research section has a large part

1 that's addressing biomass conversions systems,
2 including thermochemical and biochemical systems;
3 landfill bioreactors have a section; hydrogen
4 production from biomass is discussed in some of
5 the actions listed, as well as biorefinery
6 technologies and systems.

7 So, thermochemical conversion, there is
8 a need to demonstrate in the state, of course,
9 advanced heat power and syngas systems to improve
10 existing performance of the electricity industry.
11 But also to improve environmental performance of
12 some of the smaller or modular systems that may be
13 more accessible to the distributed nature of the
14 resource.

15 Some of these thermochemical systems
16 naturally lead into biofuels production in
17 integrated refinery systems. So, early
18 development for heat and power with integrated
19 gasifiers and combined cycles should lead to
20 knowledge and expertise and learning in the
21 Fischer Tropsch and syngas-to-liquids technology
22 systems.

23 The biochemical conversion tasks, most
24 of them are, as we listed in the roadmap, deal
25 with anaerobic digestion of MSW components, food

1 and food processor residues. So there's some
2 actions about trying to better understand the
3 resource, food processor wastes and food wastes.

4 Develop better knowledge and
5 microbiology of understanding for better biogas
6 and hydrogen production from fermentation
7 techniques.

8 Landfill bioreactors have the potential
9 to increase the life of a landfill, or by
10 increasing rate of degradation and methane
11 production. There are certain task items listed
12 for further research at landfill bioreactors.

13 Hydrogen production from biomass.
14 Biomass can be a significant source of renewable
15 hydrogen. If the source hydrogen economy comes to
16 pass, pathways for hydrogen production from
17 biomass include reformation of syngas and methane
18 from biomass, as well as biological production
19 through biophotolysis and fermentive pathways.

20 The biorefinery and technology systems
21 discuss the need to demonstrate in California and
22 on California feedstocks biorefineries and
23 advanced biorefineries that integrate
24 thermochemical and the biochemical platforms are
25 also recommended.

1 One of the reasons for this
2 recommendation is that thermal -- biomass-to-
3 liquid systems through thermochemical
4 theoretically have very high yields and very low
5 lifecycle carbon associated with them. And it's
6 recommended that there be work to help develop
7 these.

8 Systems analysis is a very important
9 section of the roadmap and for the future of
10 sustainable use of biomass in the state. Good
11 understanding of the system's performance is
12 important for optimizing a facility and insuring
13 that the full lifecycle impacts are accounted for,
14 including lifecycle carbon and other environmental
15 impacts.

16 You know, we continually assert that
17 there's this large benefit to society of utilizing
18 bioenergy and managing biomass, but we have a hard
19 time assigning a value, a dollar value to those
20 benefits. So part of a rigorous lifecycle
21 analysis procedure would help in coming up with
22 dollar values to assign to the project.

23 There's socioeconomic impacts that need
24 to be analyzed or studied or understood by
25 policymakers and project developers. And, you

1 know, if biomass development becomes a large
2 enough industry there will be land and water
3 competition issues.

4 Another potential impact are climate
5 change impacts on productivity of biomass. Those
6 are activities and questions that need to be
7 answered.

8 And we also think that biomass research
9 centers, establishment of a biomass research
10 center or centers in the state is critical to
11 improving the knowledge base, fostering
12 development of new technologies, and allowing
13 better understanding of full lifecycle performance
14 of these systems.

15 If these centers are located at
16 universities then we can also train up engineers,
17 scientists and other professionals and offer
18 degree in the field.

19 A biomass research center should support
20 the full range of research from basic biosciences
21 to crop production and agronomic performance,
22 conversion technologies and up to the integrated
23 processing systems and techniques.

24 We should also be including expertise in
25 economics, systems analysis, public policy and

1 environmental review and permitting. These will
2 allow us to develop and maintain institutional
3 knowledge, contribute to public outreach, et
4 cetera.

5 And another important function of a
6 biomass research center would be to serve as a
7 proving ground for technologies developed
8 elsewhere, where they can be independently
9 evaluated.

10 The federal RD&D roadmap, recently the
11 Technical Advisory Committee for the federal
12 roadmap met in Sacramento; met here in this room.
13 And they released their recommendations for their
14 current fiscal year. And it's encouraging to see
15 that many of their recommendations are consistent
16 with what's in the California roadmap, which was
17 discussed with the Technical Advisory Committee in
18 early August.

19 These are some of the recommendations
20 that are listed. You can go to their website to
21 look at them in detail. They're not in our
22 roadmap currently.

23 Another priority area is education,
24 training and outreach. This is section 5.4 in the
25 roadmap and table A4 in the appendix. And it

1 includes tasks on public education, outreach to
2 decisionmakers, consumer information and
3 education, environmental justice training and
4 discussing amongst practitioners and the public.
5 Training of industry and professionals; public
6 education and higher education; and then research
7 extension and technical interaction.

8 Some of the reasons for education and
9 outreach are that biomass is less well known as a
10 renewable energy source than others. Biomass has
11 many competing uses and issues associated with it
12 that lead to confusion and conflict among the
13 public policymakers, environmental groups, et
14 cetera.

15 The concept of the CO2 cycle with
16 sustainable biomass is not well understood by a
17 large part of the public, as well. And then for
18 biomass development, public education should play
19 a key role. And then just generally usually
20 better choices and decisions are made with current
21 and accurate information.

22 So there are a list of tasks involved in
23 education and outreach. They're articulated in
24 the roadmap. I won't read them all off here.
25 They're listed there and you can refer to the

1 table A4, I believe it was.

2 And we'll go back and let Martha finish
3 up, and you can get to the public part. Thank
4 you.

5 MS. GILDART: We heard earlier from
6 Board Member Kay Martin the concerns from the
7 industry on how the policy and regulatory
8 atmosphere of the state should be adjusted, let's
9 say, to foster these new technologies and set
10 clear permitting pathways.

11 In the roadmap we have attempted to
12 identify some of the obstacles that have been
13 created, maybe inadvertently, by policies and
14 regulations. And have made some recommendations
15 on how to move forward there.

16 We feel that the policies do need to be
17 comprehensive and allow for innovation and look at
18 the long-term application of these technologies.
19 We want to have a way to account for the
20 externalities. And that is a biomass facility may
21 create a benefit that is not immediately apparent.
22 It doesn't necessarily fit into the standard mode
23 of other businesses, industries or operations.

24 And we would like to have the
25 environmental pluses and minuses carefully

1 weighed, maybe through some of the research
2 programs Rob was talking about. And systems put
3 into place to allow for that acknowledgement.

4 Some of the ways that can be done is to
5 go through carbon markets, having people be able
6 to bank carbon reductions, emissions of carbon
7 compounds, and sell them to those who are unable
8 to make those reductions.

9 We can provide renewable energy credits
10 or allow emission offsets for certain kinds of
11 performance by biomass facilities. There are fuel
12 standards that can be established, requiring
13 certain blends of liquid fuels or solid fuels, and
14 credits provided to those providing those fuels.

15 We feel that it's very important to
16 allow for performance-based standards, not just a
17 prescriptive standard that sets a flat rate or a
18 flat requirement on offsets. We think that the
19 access to transmission systems is critical for
20 some of the biopower facilities; and that there
21 needs to be a revision to some of the standards on
22 what sorts of equipment are connected; how the
23 electricity production and use by any of these
24 facilities is actually accounted for. If it
25 supplies it to the system and pulls it back at a

1 later time, how does that net metering get
2 credited.

3 There are requirements to protect and
4 allow harvesting of biomass from the forests.
5 You've heard of much of the controversy that
6 surrounds the fuel thinnings programs and
7 proposals; and, at the same time, the huge costs
8 of fighting these forest fires that have become
9 larger and larger year by year as materials build
10 up in the forests.

11 So, systems that would allow the
12 extraction of the excess fuels in a way that is
13 protective of soils and waters and habitat.

14 One of the big issues are protecting
15 working landscapes and providing agriculture
16 buffers. You saw some of the slides that John
17 Shears presented that urban areas, particularly in
18 the Central Valley, are expected to grow. And how
19 does one allow for production of biomass, whether
20 it's food or fuel or fiber, and for accommodating
21 urban growth. So there are needs to look very
22 carefully at zoning issues and protecting those
23 working lands.

24 Credits for alternative fuel use. The
25 facilities that switch to some of these new

1 biofuels perhaps can be given credits that would
2 allow them to move forward on other venues.

3 Requirements that the state put its
4 purchasing power behind these new technologies and
5 have the state require to purchase ethanol fuels
6 and flexible fuel vehicles in their fleets; or
7 recycled paper content; or use of biopower from a
8 biomass generator.

9 There are earlier discussed a need in
10 the market development section for establishing
11 the biomass zones where they could take advantage
12 of things like environmental impact reports done
13 for the entire location, the entire zone; low-
14 interest loans, possibly low-cost utilities
15 provided. And having the state's authority behind
16 that.

17 The development of best management
18 practices that could be enforced either through
19 state agencies or through the industry, itself, to
20 regulate itself and understand what the best way
21 is to produce, harvest, grow, collect, transport
22 these materials.

23 And then there's the issue on the
24 environmental justice to make sure that
25 communities that might be affected by these sorts

1 of practices or facilities have a voice in the
2 design and siting and setup of all these
3 facilities.

4 So, very briefly, that is the content of
5 the roadmap. What we want to do after the break
6 is take comments from the public. But for those
7 of you who do not provide spoken comments today,
8 we do have a website where the report can be
9 downloaded and comments can be submitted at that
10 email, mcgildart@ucdavis.edu.

11 So, thank you. Bryan.

12 (Applause.)

13 DR. JENKINS: Okay, thanks, Martha and
14 Rob, for presenting the roadmap there.

15 I think you get a sense of the intricate
16 detail here that's included in the report and the
17 issues.

18 Of course, all of this has to somehow be
19 translated into action both on the part of the
20 state and on the part of the industry. So that's
21 what we have to work towards.

22 And at this point we're sort of back on
23 schedule. We were going to begin public comments
24 at 11:00, and I think we should do that. There
25 may be some other people who want to come in here

1 for your comments.

2 So I'm going to suggest we take a ten-
3 minute break. We have at least one PowerPoint
4 presentation we need to load up on the public
5 comments anyway. So we're going to be dealing
6 with computers here, and not to waste your time.

7 Let's return at 11:00. And if you have
8 a PowerPoint presentation you wish to give as part
9 of the comment, could you please get that to me
10 now. Thank you.

11 (Brief recess.)

12 DR. JENKINS: Martha's going to run down
13 the list of comments. And, again, thank you for
14 coming today and look forward to hearing your
15 comments.

16 The question is, do we want comments on
17 comments. I suppose that if there are questions
18 we can open that up, as long as the speaker or the
19 individual commenter wishes to receive those
20 questions.

21 So, with that, it will be up to the
22 individual speaker as to whether they wish to
23 answer questions. All right. Okay. We'll begin.

24 MS. GILDART: Okay, well, our first
25 speaker is Matthew Summers, who is with REI

1 International. And he came very prepared with a
2 slide presentation.

3 MR. SUMMERS: Very prepared; thank you,
4 Martha.

5 Excuse me this morning, I'm still
6 recovering from the Ralston fire. We were smoked
7 out up in Auburn for several days, so got a little
8 bit of a stuffy nose.

9 Just wanted to make a few comments on
10 the report and present some of the research we've
11 done at the Renewable Energy Institute here in
12 Sacramento. And introduce myself, as well. I
13 recently started with them as their Manager of
14 Renewable Fuels Research.

15 I think my first comment would be that
16 it was a very thorough and readable report; and I
17 thank Dr. Jenkins and his staff and the
18 Collaborative Board and everybody who contributed
19 to it.

20 I think any report that talks about the
21 potential energy from garlic and onions must be a
22 pretty good report. But, well written, and a good
23 job.

24 Just a couple of comments. The first
25 one is that kind of the cool thing about energy

1 chemistry in this field is there's lots of ways to
2 get from A to B, A being biomass and B being
3 energy fuels, chemicals, those kinds of things.
4 So there's also lots of Bs to get to, as well.

5 And what we've tried to focus on at REI
6 is technologies that meet certain criteria because
7 there are so many options. I think in total 450
8 or so technologies have been looked at in some
9 form or another by REI. And these are kind of
10 what we see as kind of the main criteria that a
11 technology has to meet. And I think this fits in
12 pretty well with what was defined there in the
13 report, as well.

14 Technically feasible; energy efficient;
15 environmentally friendly; economically viable; and
16 sociopolitically acceptable.

17 And I've got economically viable there
18 this morning in red because I think maybe the
19 report could use maybe a little more emphasis on
20 that topic. And I just wanted to bring one more
21 slide that kind of shows some comparisons we've
22 done between technologies, not as, you know, this
23 is the be-all/end-all, but just to say that we
24 don't want to give short shrift to any technology
25 that might have potential.

1 And just again emphasize the need for
2 looking at economics. Because really, you know, I
3 think some billion-dollar numbers were thrown
4 around this morning. We're going to need private
5 investment to make this happen. So, economically
6 viable's going to be a real critical component.

7 So, in trying to compare technologies
8 with sort of the same financial metrics, that can
9 be pretty difficult to do. You need good data, a
10 lot of this work's been done on a bench or
11 prototype scale.

12 And so this is some work that's come out
13 of our shop. It's going to be published in
14 Environmental Science and Technology in April
15 2007. So it's in the works right now. And so
16 just to make it clear there's red x's there, but
17 all of those are intended to be sort of ranges, so
18 really the bubble should be up where the red x's,
19 kind of centered on where the red x's are.

20 But this is just a little bit about
21 economics, the way we see the world of biomass.
22 And so down on the bottom in terms of, and we've
23 got sort of profit or loss per ton, and then we've
24 got return on investment. And this would be a
25 biomass conversion plan with forest wood

1 feedstock, which is the subject of the article.

2 And so combustion electricity kind of
3 falls in the, you know, economically unfeasible
4 range. Biorefinery type ethanol production, and
5 electricity, different types of electricity, sort
6 of advanced electricity, so combined this -- ITCC
7 is combined combustion and thermochemical and
8 combustion and then thermochemical electricity.
9 So more of like a hydrogasification type process.

10 Thermochemical diesel production and
11 thermochemical ethanol and electricity production,
12 sort of all in the same range. And so I think
13 really what we're just, our main point is that we
14 see a lot of promise in the thermochemical area.

15 And I think our read of the report maybe
16 was a little bit off base after talking to Dr.
17 Jenkins, because we were kind of seeing a
18 biorefinery as defined as sort of a fermentation
19 type platform; whereas if you really read into the
20 report, I think it's allowing for both biochemical
21 and thermochemical equally.

22 But I think we want to make sure that
23 California doesn't go off on a path that kind of
24 feel like some of the federal funding went off
25 that direction, is now being pulled back into just

1 focusing on fermentation type conversion. And
2 feel like it needs at least a equal platform in
3 terms of research and development funding.

4 We agree that research on all viable
5 technology is needed. I think Rob just gave an
6 excellent presentation on that. And that mainly
7 that there should be some equal emphasis on
8 different approaches to achieving renewable fuels
9 and renewable energy.

10 So, I think I'll end with that. And
11 I'll gladly take any questions from all you folks
12 here, since I know most of you anyway.

13 So, Val.

14 DR. TIANGCO: I know we need to get
15 details on your assumption on, for example, the
16 capital costs --

17 DR. JENKINS: Val, could you introduce
18 yourself, please.

19 DR. TIANGCO: Oh. My name is Val
20 Tiangco; I'm with PIER renewables, California
21 Energy Commission.

22 In your VuGraphs what are your assumed
23 capital costs like, for example, combustion to
24 electricity production, the thermochemical
25 electricity, are you assuming gasification there?

1 MR. SUMMERS: Which one?

2 DR. TIANGCO: And what's the capital
3 cost?

4 MR. SUMMERS: There's hundreds of
5 assumptions and a spreadsheet for every one of
6 these. And in fact, most of them are a
7 combination of several technologies. So, probably
8 the -- I mean I don't recall any of the specific
9 numbers, but there's definitely assumptions. And
10 I think really the purpose of this at this point
11 is not to argue about the nitty-gritty, but mainly
12 to just say that, you know, all these technologies
13 have to be economically viable and we need to
14 equally emphasize research and development in all
15 of them. I think that's the main point here.

16 But, Val, I'll take you up on being a
17 reviewer of the article; that'd be great.

18 DR. TIANGCO: Okay, thank you.

19 MR. SUMMERS: Okay.

20 (Laughter.)

21 MR. SUMMERS: We'll leave it at that.
22 Anything else? Okay, thank you very much. And
23 thank you, Biomass Collaborative.

24 MS. GILDART: Well, thank you, Matthew.
25 The second speaker is Michael Theroux who's with

1 Theroux Environmental.

2 MR. THEROUX: Good morning, and
3 excellent work, folks. Your attention to detail
4 has been amazing. Michael Theroux, Theroux
5 Environmental. At least that's the way my daddy
6 says it.

7 I have three comments this morning; I'll
8 keep them brief. First, we're talking about clean
9 energies and clean fuels, but clean compared to
10 what. The core question of what we're trying to
11 do is something that I needed to think long and
12 hard on, on my task force work in Los Angeles
13 County, Integrated Waste Management Task Force,
14 and, again, with the City of Los Angeles.

15 And I came to the conclusion that it was
16 a restating of the EPA's basic goal for their work
17 in priority pollutants. They refer to what we're
18 trying to do here as incremental mitigation. I'd
19 like to take that a make it a little simpler.
20 Says we take out the old and dirty and put in the
21 clean and new.

22 But we need to be able to define the
23 metrics by which we determine that something is
24 clean or cleaner. And we need to be able to do so
25 across many different points. The EPA was focused

1 on dioxins. It certainly is a difficult question
2 for many of the areas that we're pursuing.

3 But if it is difficult, and indeed we
4 are replacing something that is worse in terms of
5 that particular pollutant, dioxin and the furans
6 and the congeners, then the difference, the metric
7 that defines the difference between how much of
8 mitigation that we're producing with that new tool
9 for the amount that we're replacing is very
10 critical to where we're going.

11 So I would ask that as we move forward
12 with the roadmap itself, we focus a little bit on
13 what we're replacing, and how dirty it was, on a
14 per-ton basis, per-unit time basis, per-capita
15 basis, per-gallon fuel basis, however we look at
16 that, we need an incremental mitigation base as a
17 metric for what we're replacing.

18 My second comment has to do with a
19 tendency that I see across the board in the
20 perspective of the agencies to look at the
21 emerging technologies, and just as guilty, those
22 technology developers as they move their pieces
23 and new tools forward. It's the old thing of my
24 toy is the best on the block it does everything
25 with everything.

1 The agencies and, to a certain degree,
2 the assessment of the Collaborative seems to have
3 indicated that we will have a best actor; and yet
4 what I see instead is we just simply haven't
5 defined niches.

6 So I would ask that as we move the
7 groups of technologies forward, that we refrain
8 from making a call in anything other than whether
9 or not they're clean enough according to our
10 standards, and wait for the placement in the
11 market that will emerge as we add our best
12 available control technologies and as we better
13 define that market, itself. So this is a question
14 of market segregation more than one tool fits all.

15 Along the same lines we must look to
16 multi-technology process flows; and certainly we
17 find that in the emerging technologies right now.
18 We're not just looking at thermal, we're looking
19 at thermal and biochemical and biological, and a
20 combination process flow that needs to be capable
21 of addressing a broad diversity of feedstock and
22 creating a broad diversity of products.

23 In addressing the development of our
24 infrastructure I would suggest that there is a
25 question, two pieces of the puzzle that have to do

1 with the infrastructure and preprocessing.

2 We need to be able to move things from a
3 distance out in the hinterland into a central core
4 refining station. It is true that most of our
5 organic products are relatively unstable, in that
6 they are unstable as we work with them; they rot;
7 they fall apart; they don't do what we want them
8 to. We need to be able to stabilize those as
9 intermediary products.

10 I suggest that our smaller modular
11 capabilities can be applied at the sources of
12 those feedstocks to help collect and use a portion
13 of that material, whatever it happens to be, with
14 the diverse technologies that we have and the
15 diverse feedstocks that are available, at the
16 location, at the source.

17 And in the studies that I've done on the
18 ground over the last decade, what I see is that we
19 can pay for the acquisition and preprocessing of
20 five to seven times more than we can actually use
21 at that rural community or at that agricultural
22 station or that small urban management place of
23 that material.

24 That means then that if we're not
25 careful we'll end up like we were back when

1 (inaudible) was piling up in moldering piles of
2 newspaper. The problem then will be what to do
3 with that massive amount that we've collected.

4 Because we do need to get the long-term
5 contracts. And in order to do that we have to
6 have an operating crew on a ten-year contract
7 basis that's bankable. And in order to do that,
8 we must take some of the investment capitalization
9 for the core biorefineries that are discussed and
10 disburse that to the sources of the feedstock with
11 modular capabilities. That provides a cascade of
12 the excess feedstock toward the regional hub.

13 I'll leave it at that. Those three
14 pieces are what I see as areas perhaps that the
15 roadmap, itself, I would like to see greater
16 development on. If there are questions, I'd be
17 happy to address them.

18 DR. JENKINS: Michael, I have a question
19 for you. I want to clarify something you said.
20 You had indicated that the Collaborative roadmap
21 or the draft document at the present tends to
22 focus on a best actor for technologies. And your
23 comment was, I think, we need to look at multi-
24 technologies and multiple ways of doing this.

25 From my perception what we had attempted

1 to do was to define this, that the policies and
2 the approach needs to be flexible and it needs to
3 allow for innovation, which would include any kind
4 of technology, so we were not trying to be
5 prescriptive.

6 Is it your sense that the report is
7 overly prescriptive in its technology approach?

8 MR. THEROUX: Because of a specific
9 reality that I find in the industry, itself, that
10 each of these technologies makes the assumption
11 that they can do everything. And because that's
12 the condition, my toy does everything with
13 everything, their apparent niche is extremely
14 broad. What we'll end up with is, no, that tool
15 fits this particularly well.

16 So I would ask that as we move forward
17 we don't so much look at six tools that do
18 everything, but six tools that in the future, as
19 they're developed and defined, will sort
20 themselves out into the marketplace better.

21 So, from my perspective, the roadmap
22 then could assist in that, in perhaps adjusting
23 that niche separation be parallel to technology
24 development and help define where these particular
25 tools do optimal good.

1 DR. JENKINS: Okay, thank you. I think
2 I need to talk to you some more about that.

3 MS. GILDART: Okay, at the moment we
4 have a third and last speaker, unless anyone else
5 has a blue card and wishes to speak. And this is
6 Brett Storey with Placer County.

7 MR. STOREY: First of all, thank you.
8 My name is Brett Storey; I am a Biomass Project
9 Manager for Placer County. And thank you for
10 letting us comment on it.

11 First of all I want to say I'm
12 relatively new to this business, and as a taxpayer
13 I really like the report; I like the roadmap; I
14 like the approach. And as a project manager, I
15 like most of it, okay. And then I'll get to the
16 part I think could be stronger.

17 One of my jobs is to develop biomass
18 utilization techniques. We've got a large
19 forested area in Placer County. The two regions
20 that are main are Lake Tahoe, which, if you've
21 ever tried to get anything done at Lake Tahoe, I'm
22 told there are at least 26 major organizations
23 that you have to get to agree. And I don't know
24 what that means yet, but I'm working on it.

25 And then we have the lower part, which

1 someone mentioned the Ralston fire; as of Monday I
2 am not only biomass project manager, but now I'm a
3 watershed project manager. I have to go deal with
4 what happened in the aftermath of the fire, which
5 is good because I need to know that for a lot of
6 reasons.

7 But, you know, the way I look at it, in
8 order for me to move my job forward, which is to
9 find a way to use all this material that we do
10 need to clean from the forest, I have to have four
11 things. And those four things are the money to
12 develop and invest in whatever technology is the
13 right technology for our area. And quite frankly,
14 I've had people who believe in this and want to
15 give us money and want to invest in our County
16 because we have, I think, a large forested amount
17 of material. So I'm relatively comfortable that I
18 can get the money to do that.

19 You need to have the community accept
20 that. Well, you just have to drive up to
21 Foresthill or Lake Tahoe and they'll accept
22 anything that helps them not have fires.

23 You need to have no one to sue you. And
24 you were talking from the environmental community,
25 we've actually got the League to Save Lake Tahoe

1 on board with us because we've invited them in to
2 be a part of our process. And they like our
3 approach. So I'm satisfied.

4 The last one is the ability to build the
5 facility, to get the permits, to do the
6 environmental.

7 And right now the first three are easy;
8 the fourth is not going to be easy. You know, we
9 have the need for a stationary source, meaning a
10 new facility. We have some air pollution control
11 guidelines that currently in Placer County will
12 not allow us to put any new facilities in. Yet I
13 could walk over a couple hundred yards to Nevada
14 County, or the other side of the Lake to the State
15 of Nevada, and I can put just about any facility I
16 want up.

17 Now, I don't mean to tell on them, and
18 don't go off and stop them from doing it, but I
19 guess what I'm talking about is if it's the right
20 thing to do, it's the right thing to do. And that
21 theme was coming across in a lot of different
22 speakers.

23 You know, we can show, and I think many
24 of the technologists behind me can show that you
25 can get a 90 to 99 percent less toxics put into

1 the air than an open burning. And in our County
2 there still is a lot of open burning that goes on.
3 So we can prove that and we can show that.

4 And I'm getting now around to what I'd
5 like to say about the roadmap. While it addresses
6 regulatory incentives as a high priority area, I
7 believe and we in the County believe that there
8 should be a stronger solution path for areas,
9 local government areas like ourselves that would
10 allow us the ability to produce that cleaner
11 energy in whatever form makes sense for those
12 communities.

13 And I don't know whether I'm going to go
14 so far as to suggest that it be on the goals and
15 objectives list, because the five you have there
16 are wonderful goals and objectives. The point for
17 us is, though, if we can't get a permit to put
18 anything up, I can't achieve any of those goals.
19 If I can get a permit I can achieve every one of
20 those goals on the right scale for our County.

21 So, I'd just like to draw to the
22 attention to the Commission that I believe the
23 roadmap needs to be stronger in that area. I
24 think everything else, as I said earlier, is
25 excellent. I think the technology will continue

1 to build. And I think you'll find the businesses
2 wanting to come.

3 In fact, I have two out-of-state
4 businesses that want to come build a fuel source,
5 whether that's ethanol or mixed alcohols, in our
6 County. And right now I'm cultivating them, but
7 there's really not a lot I can do to move forward
8 until we reach that milestone of either changing
9 the regulations or getting some flexibility in
10 that.

11 We're doing our part. Actually we've
12 met with the state, and we've met at the federal
13 government to try to get some flexibility. We
14 have our own air pollution control officer for our
15 County involved in our process. And we are going
16 after not only funding, but projects jointly
17 worked with the EPA so that we can prove these
18 theories on the ground in our County. And
19 hopefully that will help everyone else.

20 And I have one last statement. I came
21 late; I apologize. Are we going to get copies of
22 the electronic versions? Because many of them we
23 couldn't see from in the audience. So I couldn't
24 really tell what was going on in a lot of that.

25 DR. JENKINS: Thanks, Brett. I think

1 what we'll do is put copies of the presentations
2 up on the Collaborative website so everybody has
3 those available.

4 MR. STOREY: Okay, great.

5 DR. JENKINS: Thank you very much.

6 MS. GILDART: I have a question.

7 DR. JENKINS: Sure.

8 MS. GILDART: You were talking about
9 the, was it the Ralston fire there, near
10 Foresthill --

11 MR. STOREY: Um-hum.

12 MS. GILDART: -- and sort of it's a
13 wake-up call to people in the locale. One of the
14 things we run into in the permitting issue is the
15 emissions offset for some of these facilities.

16 MR. STOREY: Right.

17 MS. GILDART: And while everyone
18 acknowledges that clearing material from the
19 forests can reduce the likelihood of the huge
20 forest fires, it becomes difficult to define it as
21 kind of emission offset program because these
22 forest fires are not predictable, they're not
23 regular, their emission offset does not meet the
24 criteria of being permanent, real and enforceable.

25 MR. STOREY: Right.

1 MS. GILDART: Is this anything that
2 you've discussed with your local district?

3 MR. STOREY: Absolutely, yes, yes.
4 You're right. The open wildfire, there is nothing
5 predictable about that. Although I will say that
6 the Forest Service and CDF, they do a great job of
7 predicting where it's going to go and stopping it.
8 So that technology, at least, has come far.

9 What is predictable and reliable,
10 though, is there is open burning. There is open
11 burning in Lake Tahoe; there's open burning in
12 various parts of all counties in the forested
13 regions. And what happens is there is a finite,
14 obviously, amount of days where you can burn in
15 the open, and they have to go through a permitting
16 process to get that accomplished.

17 But that's known; it's reliable; it
18 happens every year. And that number is only going
19 to increase as the technology gets stronger and
20 the ability to predict days that you could
21 actually burn something that it wouldn't impact
22 everyone's both health and recreation concerns.
23 And we have that throughout our County.

24 Now, one of the things that we're doing
25 is we're working that with our air pollution

1 control officer and the federal EPA to talk about
2 that as a piece of just what you're asking.
3 Because it is hard to get that offset with.

4 I will make one other plug for our
5 County Supervisors. They've actually authorized
6 some money for me in my program to take those
7 piles that have been cleared from the forest by
8 either the Forest Service or fire protection
9 districts or homeowners that normally would be set
10 aside in piles and requested to burn this fall and
11 next fall, they've actually given me money where
12 we have a program now that's starting this week
13 where we are going to ship that material into a
14 van and transport it to the closest biomass
15 facility and have that burned in a control burn.

16 And thereby, taking that material off
17 the ground for both protection from fire, and also
18 the air quality that it would add to it. And we
19 feel like that's a program that we're going to
20 maintain in the County forever now. At least
21 that's my goal. We're going to look for different
22 types of funding.

23 In fact, I was just talking with Susan
24 this morning, the California Tahoe Conservancy has
25 seen fit to include some of that in their budget

1 to help out in Placer and El Dorado County because
2 we are the two most affected California Counties
3 by all that.

4 So we are trying to do things on a local
5 level, as well as trying to solve that issue you
6 talked about.

7 MS. GILDART: Do you have a per-ton
8 estimate of the cost of that shipping and hauling
9 or --

10 MR. STOREY: That's the other thing
11 we're doing is, if you go talk to the folks that
12 buy and sell this fuel, they have a guess about
13 it. And they have it based on certain things.
14 But it's never based on our area. We have some
15 local foresters working with us.

16 And what our plan is, is to, as we
17 remove these piles, we're going to take what
18 acreage it was pulled off of, what type of
19 material it was, categories, put it in Excel
20 spreadsheets; figure out exactly what you asked,
21 so that we will have an actual known quantity from
22 the Lake Tahoe region, which, of course, is
23 different than the Foresthill region. And that's
24 also the purpose of the program.

25 Because in the end, my job is really an

1 incubator. It's to protect the citizens, but it's
2 to hand all this data off to a business that comes
3 in, because we don't want it to be a subsidy,
4 quite frankly. I mean, if it is, it'll never make
5 it.

6 And we need it to work in our County
7 because of all the forested areas we have; the
8 growth in the homes; the expensiveness of the
9 homes. So we are, in fact, that is one of the
10 things we're capturing and is a piece of our
11 program.

12 Thank you.

13 DR. JENKINS: Thanks, Brett.

14 Okay, well, we had three blue cards
15 submitted. I will ask now from the floor, does
16 anybody have comments that they wish to make,
17 having heard the public comments so far? Or
18 anything else.

19 Okay, hearing none, thank you very much
20 for coming. We very much enjoyed your
21 participation here today and we look forward to
22 your further comment.

23 Please get written comments in to us by
24 Friday, if possible. We will accept them at any
25 point, of course, but eventually this document

1 will become final and it will be difficult to make
2 revisions until the next round sometime later.

3 So, thank you very much.

4 (Whereupon, at 11:32 a.m., the
5 Informational Meeting was adjourned.)

6 --o0o--

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

I, PETER PETTY, an Electronic Reporter, do hereby certify that I am a disinterested person herein; that I recorded the foregoing California Biomass Collaborative Informational Meeting; that it was thereafter transcribed into typewriting.

I further certify that I am not of counsel or attorney for any of the parties to said meeting, nor in any way interested in outcome of said meeting.

IN WITNESS WHEREOF, I have hereunto set my hand this 9th day of October, 2006.

PETERS SHORTHAND REPORTING CORPORATION (916) 362-2345